

IN THE MATTER OF AN ARBITRATION BEFORE A TRIBUNAL
CONSTITUTED
IN ACCORDANCE WITH THE TREATY BETWEEN THE U.S.A. AND THE
REPUBLIC OF ECUADOR CONCERNING THE ENCOURAGEMENT AND
RECIPROCAL PROTECTION OF INVESTMENT, SIGNED AUGUST 27, 1993
(THE "TREATY")

and

THE UNCITRAL ARBITRATION RULES 1976

```

- - - - -X
In the Matter of Arbitration      :
Between:                          :
                                   :
CHEVRON CORPORATION (U.S.A.),     :
TEXACO PETROLEUM COMPANY (U.S.A.), :
                                   :
        Claimants,                :   PCA Case No.
                                   :   2009-23
        and                        :
                                   :
THE REPUBLIC OF ECUADOR,           :
                                   :
        Respondent.                :
- - - - -X

```

TRACK 2 HEARING LAGO AGRIO-02 SITE VISIT

Tuesday, June 9, 2015

Coca (Francisco de Orellana)
Republic of Ecuador

The Lago Agrio-02 Site Visit in the above-entitled
matter convened at 9:11 a.m. before:

MR. V.V. VEEDER, Q.C., President

DR. HORACIO GRIGERA NAÓN, Arbitrator

PROFESSOR VAUGHAN LOWE, Q.C., Arbitrator

Additional Secretary:

MS. JESSICA WELLS

Registry, Permanent Court of Arbitration:

MR. MARTIN DOE, Registrar
Secretary of the Tribunal

Court Reporter:

MR. DAVID A. KASDAN
Registered Diplomate Reporter (RDR)
Certified Realtime Reporter (CRR)
Worldwide Reporting, LLP
529 14th Street, S.E.
Washington, D.C. 20003
United States of America
(202) 544-1903
info@wwreporting.com

APPEARANCES: (Continued)

On behalf of the Respondent:

DR. DIEGO GARCÍA CARRIÓN,
Attorney General
DRA. BLANCA GÓMEZ de la TORRE
Counsel, Attorney General's Office
DR. LUIS FELIPE AGUILAR
DRA. DANIELA PALACIOS
Procuraduría General del Estado
Robles 731 y Av. Amazonas
Quito, Ecuador

MR. ERIC W. BLOOM
MR. GREGORY L. EWING
MS. CHRISTINE M. WARING
MS. NICOLE Y. SILVER
Winston & Strawn, LLP
1700 K Street, N.W.
Washington, D.C. 20006
United States of America

MR. JOSÉ MANUEL GARCÍA REPRESA
Dechert LLP
32 rue Monceau
75008 Paris, France

Respondent's Site Visit Participants potentially
providing testimony:

DR. EDWARD A. GARVEY (LBG)

Respondent's Site Visit Participants not providing
testimony:

MR. SHANE McDONALD (LBG)

DR. HARLEE STRAUSS

APPEARANCES:

On behalf of the Claimants:

MR. R. DOAK BISHOP
MS. TRACIE RENFROE
MS. CAROL WOOD
MS. JAMIE M. MILLER
King & Spalding, LLP
1100 Louisiana Street, Suite 4000
Houston, Texas 77002
United States of America

Claimants' Site Visit Participants potentially
providing testimony:

MR. JOHN CONNOR (GSI)

DR. THOMAS E. McHUGH (GSI)

Claimants' Site Visit Participants not providing
testimony:

DR. GINO BIANCHI

MR. ERNIE BACA (GSI)

MS. DANIELLE KINGHAM (GSI)

MR. WILLIAN CHAVEZ (GSI)

C O N T E N T S

PAGE

FIRST ROUND OF ORAL PRESENTATIONS

ON BEHALF OF THE RESPONDENT:

By Mr. Ewing 292

By Dr. Garvey 301

By Mr. Ewing 319

By Dr. Garvey 322

By Mr. Ewing 323

ON BEHALF OF THE CLAIMANTS:

By Ms. Renfroe 328

By Dr. McHugh 330

By Ms. Renfroe 339

By Mr. Connor 340

By Ms. Wood 358

By Ms. Renfroe 364

SECOND ROUND OF ORAL PRESENTATIONS:

ON BEHALF OF THE RESPONDENT:

By Dr. Garvey 375

By Mr. Ewing 378

By Mr. Bloom 384

CLOSING REMARKS OF THE TRIBUNAL

395

1 P R O C E E D I N G S
 2 PRESIDENT VEEDER: Let's start.
 3 Today is the 9th of June 2015. We're here at the
 4 Lago Agrio well site. In accordance with the agreed
 5 arrangement, we start with the Respondent's presentation.
 6 OPENING STATEMENT BY COUNSEL FOR RESPONDENT
 7 MR. EWING: Good morning, Members of the Tribunal.
 8 We are now at Lago Agrio-02; to give you our context, we
 9 started this morning at Coca, came up through Sacha, and
 10 instead of coming to Shushufindi, we came to Lago Agrio.
 11 We came around town. We didn't go through the center of
 12 town to avoid the congested area, so we're at the northern
 13 end of the Concession in one of the first oilfields that
 14 was developed in this area.
 15 So, Lago Agrio-02, the two indicates that it's
 16 presumably the second well that was developed in the Lago
 17 Agrio oilfield.
 18 So, we are here at this site for basically four
 19 reasons today. One, this is an easy site to connect the
 20 responsibility of TexPet. The pit that we will be looking
 21 at was drilled--was dug, filled by TexPet, so we know whose
 22 oil is there. So, we were able to assign or attribute
 23 responsibility.
 24 This is a great site for us to see the threat to
 25 human health or the risk to human health. We have people

09:12 1 who live potentially on top of pits, and I'll explain that
 2 in a second. There are numerous animals running around
 3 here. We can hear them. There are lots of dogs. The risk
 4 to human health is easy to see.
 5 This study is also easy for us to see the
 6 migration. We know one of the sources of contamination
 7 here is Pit 3. From all the flags over there, you can see
 8 a lot of samples have been taken, and then that
 9 contamination has spread into the sediment, and Dr. Garvey
 10 will explain that.
 11 And, finally, this is a good site for us to
 12 discuss. We have talked about how Chevron has used the
 13 Pre-Inspections to influence their Judicial Inspections,
 14 and Dr. Garvey will explain in sort of overall in the
 15 statistical analysis that he did, but this is also a very
 16 good site to really understand how that played out, and
 17 this should give us a good example or illustration of that.
 18 As you can probably guess, this site adds another
 19 layer of complexity, and that is that both TexPet and
 20 Petroecuador extracted oil from this site. So, up until
 21 now, the three sites we have seen have been
 22 TexPet-extraction only, and now we add the complexity of
 23 two Operators.
 24 This is the last site because you've now seen what
 25 TexPet oil, what TexPet operations resulted in at

09:14 1 Shushufindi-34, Shushufindi-55, and Aguarico-06, and that
 2 any concurrent contamination at those sites is unrelated to
 3 Petroecuador activities, whereas here we have uncertainty,
 4 and we have to try and figure out how you divide out and
 5 attribute some of the responsibility.
 6 Claimants have attempted to shift the blame for
 7 the contamination that's here--and I'm sure we'll hear
 8 about that--to recent Petroecuador activities, "recent"
 9 being 1992 and more recent. But, as you've seen at other
 10 sites, contamination from TexPet continues to exist in the
 11 environment, and it continues to exist here, and Dr. Garvey
 12 will explain why we know that this contamination is from
 13 TexPet.
 14 This is also a site where it's important to note
 15 the delay that has been caused by the way this case has
 16 been litigated. Keep in mind that TexPet ended as Operator
 17 in 1990, and they left Ecuador in 1992. Within 11 months
 18 of TexPet leaving Ecuador, the Lago Agrio Plaintiffs filed
 19 their lawsuit in New York. So, in 1993, this lawsuit was
 20 filed.
 21 We have seen contamination. You have seen oil on
 22 the ground. You have seen oil in the sediments. It has
 23 now been 22 years that that contamination has been out
 24 there and you can still see it. We'll help you to imagine
 25 maybe what it would have looked like 22 years ago when this

09:15 1 first case was originally filed and, in a sense, how much
 2 easier this would have been to resolve at that time as
 3 opposed to now, looking back 22 years later with the added
 4 complexity of a site like this where now Petroecuador has
 5 operated.
 6 So, we see the benefit of the litigation style
 7 that Chevron chose in this case and Texaco chose in this
 8 case in New York.
 9 So, I want to give you a little bit of history and
 10 a little explanation of where we are, just to give you a
 11 layout of the site. So, we have a map here. Here's,
 12 Nicole, if you could come here, one side of the other pole.
 13 This is Lago Agrio-02. We drove in from the south
 14 and came up. We passed Pit 4. You probably didn't notice
 15 it. Maybe you did--I'll be particularly impressed if you
 16 did--but it's back in the woods just down the road here.
 17 We came in. This is approximately where the gate
 18 is. All of our cars are now parked along this wall. The
 19 oil wellhead is here where it says, "wellhead," and then we
 20 have three definite pits that we know of.
 21 Let me just set this down here.
 22 We have Pit 1, which is here, which is in the--my
 23 right, to your right, right here labeled in blue.
 24 We have Pit Number 2, which is just to the left of
 25 that pit. You can see the flags that Chevron has put out,

09:17 1 the yellow flags to the trees.
 2 And then we have Pit 3, which is all of the flags
 3 that Ecuador--that all of us have. We put them all in that
 4 pit just so you know exactly where that one is. But that's
 5 Pit 3 right there, which has received the most amount of
 6 sampling as a part of this arbitration.
 7 There's also a fifth potential pit here that can
 8 be seen in--potentially seen in aerial images. The
 9 Parties--some of Chevron's internal documents mention that
 10 they believe this might be another pit. It's not definite.
 11 We don't know, but it would be right under this house.
 12 Some of the material that LBG tested as a part of this
 13 litigation--or this arbitration was from this area, and it
 14 was petroleum byproducts or hydrocarbons. Whether or not
 15 this is definitely a pit or maybe just a spill, we don't
 16 know, but there is some source of contamination there as
 17 well.
 18 So, that's the overview of this site.
 19 During the Lago Agrio Litigation, Chevron
 20 identified Pit 1, which is the pit in blue, and their map
 21 had none of the other pits, and they described none of the
 22 other pits to the Lago Agrio Court, despite the fact that
 23 in their Pre-Inspections and their Pre-Inspection
 24 documentation, they had clearly mapped these pits out. In
 25 fact, I think most of our outlines for these pits are from

09:19 1 Chevron's Pre-Inspection documents, and they had even
 2 labeled them Pit 1, 2, and 3 in their internal
 3 documents--and 4. But, during the litigation, they did not
 4 bring up Pits 2 and 3 at all.
 5 Chevron will say that they discussed those in
 6 their Rebuttal Report. So, during the Lago Agrio
 7 Litigation, the way Judicial Inspection would work is that
 8 the Parties would come. They would walk around the site.
 9 After the Judicial Inspection, they would take samples
 10 where the Parties or the Judge wanted, and then both sides
 11 would file a report, and that report would be typically--I
 12 think Mr. Bianchi filed the Report here for Chevron. I
 13 don't remember who for the Plaintiffs. You'd have an
 14 Expert Report, akin to what LBG has done or what GSI has
 15 done here, but focused on a specific site. And then there
 16 would be a Rebuttal Report.
 17 And, in this case, the Rebuttal Report was filed
 18 by Mr. Callejas, who was Chevron's lawyer. There was never
 19 a report that was filed by Mr. Bianchi or any of the other
 20 Chevron's technical experts with this. There's some
 21 technical discussion in Mr. Callejas's report, but there is
 22 no sort of Expert Report rebuttal.
 23 And, in that report, Chevron still does not
 24 mention these pits. You can look through the entire
 25 report. Unless I have somehow missed it in the 667 pages

09:20 1 that it is, they don't discuss these as pits. In fact, you
 2 can see--this is Claimants' Tab 19--they talk about these
 3 areas. They say their pits are "other areas sampled," and
 4 they say Mr. Robelino, who is the Plaintiffs' Expert, the
 5 technical team drilled six holes outside of the remediated
 6 areas--and he's referring to six samples that the
 7 Plaintiffs took in this area--from which six samples were
 8 collected at depth.
 9 Later on in the same document, it states that, as
 10 a part of the JI process, the Experts were tasked with
 11 answering specific questions placed to it by the Court.
 12 One of those questions was the number of pits that existed
 13 at this site.
 14 So, Chevron never referred to these as "other
 15 pits." They referred to them as "other sampled areas"
 16 outside of the remediated areas. So, they did discuss the
 17 samples they were taking here, they never admitted that
 18 they were or report actual pits. We'll talk a little bit
 19 about these samples more because they do give us more
 20 indication about what the PIs and the JIs were used for.
 21 So, I think that's as much as the overview as we
 22 want to get into. We are sitting here now. We're going to
 23 walk on top of Pit 3. We'll be briefly there while we--Dr.
 24 Garvey will discuss the PI and the JI sampling. We will
 25 walk down past the house, down to this area here where

09:22 1 you'll see the siphon that sticks out of Pit 3, and this is
 2 the sediment and stream area that Chevron, the Lago
 3 Plaintiffs, and LBG have now sampled. And Dr. Garvey will
 4 explain some of the science and the toxicology there.
 5 A couple of quick wrap-up points. We have
 6 promised to get you a reference on the filtering. You can
 7 find that in John Connor's 2014 Report. At Page 18 is one
 8 place to start. There is some discussion as well in the
 9 LBG Reports, but that is where Mr. Connor addresses that.
 10 I would also like to clarify: We have repeatedly
 11 said and argued that the petroleum in the area from
 12 TexPet's operations is liquid, that it's mobile, and that
 13 it's not asphaltic.
 14 The reason we have said that is because Mr. Connor
 15 had originally said that it was asphaltic materials. He
 16 said yesterday that wasn't the case and we have a
 17 misunderstanding, but I just wanted to read some quotes
 18 from Mr. Connor's report to explain why we are emphasizing
 19 this liquidity, the mobility, and the fact that it's not
 20 asphaltic.
 21 So, starting with Mr. Connor's first JI Report at
 22 the Sacha 6 well--so this was filed in the Lago Agrio
 23 Litigation--he said: "These weathering processes reduced
 24 the concentration and mobility of the crude oil removing 30
 25 to 90 percent of the hydrocarbon mass and over time

09:23 1 converting the crude oil into an asphaltic composition."
 2 At the Sacha-21, he actually provides a definition
 3 of what asphaltic means. He says: "The asphaltic material
 4 is a solid mass that does not release dust particles,
 5 vapors or leachate and is essentially an inert mass that
 6 does not impact the environment and is not bioavailable to
 7 living organisms."
 8 That continued into his Reports in this
 9 arbitration. He says that: "The residual oil in the soil
 10 would be immobile, pose no impact to surface water or
 11 groundwater, and present no significant risk to human
 12 health." And that's in his 2010 Report, Page 37.
 13 Page 48: "Specifically, weathered crude oil tends
 14 to have lost some or all of the more volatile,
 15 water-soluble, biodegradable petroleum hydrocarbons,
 16 leaving only the heavier, more viscous, and insoluble
 17 portions of the crude oil, such as resin and asphaltic
 18 materials."
 19 This is what we're responding to and why we're
 20 explaining to you what you're seeing at these sites is
 21 still liquid, yet it is still from TexPet's operations over
 22 30 years ago. And, as they recognized at Shushufindi-55
 23 and conceded, for instance, that swamp is still
 24 contaminated with mobile material. It's not inert
 25 asphaltic material.

09:25 1 So, with that, unless the Tribunal has any
 2 questions...
 3 PRESIDENT VEEDER: We have no questions at this
 4 stage. Thank you.
 5 MR. EWING: Then I would like to walk over to
 6 Pit 3 and continue there.
 7 (Pause.)
 8 MR. EWING: We are now standing on top of Pit 3
 9 that all Parties now agree exists and we commonly call it
 10 Pit 3. This pit is or was clearly visible in aerial
 11 photography--or in aerial imagery. These are in
 12 Respondent's Tabs 1 and 2. You can see this pit very
 13 clearly.
 14 It was covered sometime in the mid-1990s, early
 15 1991. You'll probably hear Claimants say that it was
 16 covered by Petroecuador. Again, like the other pits, there
 17 is no documentation that that's the case. It may be true.
 18 We don't necessarily think that it is the most likely
 19 scenario.
 20 With that, though, I would like to turn the floor
 21 to Dr. Garvey to explain some of the PI and JI sampling
 22 issues that are represented here.
 23 DR. GARVEY: So, good morning. I'd like to
 24 talk--well, before I begin talking about the PI and JI
 25 samples that were collected here, I just want to review

09:31 1 briefly the different topics I'm going to cover in my talks
 2 this morning. I'm going to review results that we've seen
 3 in the previous two days of Site Investigations that we
 4 visited, talk about the PI JI samples, and the evidence
 5 that we have here regarding those, talk about the soil pit
 6 investigation that Louis Berger did in this area, and then
 7 talk a little bit about weathering of contamination,
 8 weathering of the oil. Finally we talk about stream
 9 impacts, the impacts of this pit area to the stream that's
 10 just down the hill here to my right. You can't see it yet,
 11 but we will go there in a few minutes. And then finally,
 12 I'll talk about the human risk implications of this
 13 contamination for the family that lives right here.
 14 So, to begin, then, the PI and JI studies
 15 were--well, they were conducted by Chevron--yes, by Chevron
 16 in this area, and in particular the PI locations that were
 17 placed here are two squares, this one here and that one
 18 there, I believe the red squares.
 19 MR. EWING: Red squares.
 20 DR. GARVEY: Right, red squares there.
 21 In each of those instances, Chevron took samples
 22 down through the pit here. But, before I talk in detail
 23 about those samples, let me just talk a bit more about the
 24 philosophy, what we understood happened.
 25 Basically, Chevron visited many of the sites that

09:33 1 was likely candidates for the JI inspection and placed PI
 2 samples, if you will, preliminary inspection samples,
 3 around those areas. They put in several hundred samples in
 4 that regard.
 5 With that knowledge, they then decided on a subset
 6 of those samples to reoccupy as part of the JI. What I
 7 mean by "reoccupy" is simply to come back to the same
 8 location and collect a sample that would appear in front of
 9 a court. The PI samples would not appear in front of a
 10 court; the JI samples would. By "reoccupy," they simply
 11 went to a location that they had visited before and took
 12 another sample.
 13 If they had simply done a PI investigation and
 14 then used that information in some random fashion or some
 15 general fashion to say, okay, let's say the average of the
 16 PI samples was a thousand units; if they had come back and
 17 done a random subset of those or an evenly spaced subset of
 18 those, like taking every third sample, they might still get
 19 an average of a thousand. In fact, the average of the JI
 20 samples that they took was 40 times lower than the average
 21 of the PI samples that they collected. The median value of
 22 the JI samples that they collected was three times lower
 23 than the median of the original PI samples.
 24 So, it's clear just from those statistics alone
 25 that they didn't just randomly reselect, reoccupy the PI

09:34 1 locations. What they did was to identify locations that
 2 were low in contamination and only reoccupy those. I don't
 3 think there's but one sample, in fact, over a thousand
 4 parts million TPH by 8015 that they reoccupied. The vast
 5 majority of the reoccupied samples were low ones.
 6 Now, they can argue that that was because they
 7 were trying to bound the problem; but, as I understood the
 8 JI investigation, it was not a bounding problem. It was a
 9 documentation of the nature and extent of contamination,
 10 not simply its perimeter.
 11 So, clearly from the simple selection, the
 12 subsetting of the PI data, PI locations to select the JI
 13 locations, they selected the lower end values. But, in
 14 addition, they also had knowledge about where the high
 15 values were. And so, using that knowledge, they then
 16 placed other JI locations where they were fairly confident
 17 they could control what would happen and minimize the
 18 concentrations they would detect there as well, and this is
 19 a case of that.
 20 These two red squares here represent PI samples.
 21 One of them--I can't remember which one it is now--is about
 22 8100 parts per million. It represents this, these two
 23 samples here. It is this deep boring here. Basically the
 24 symbol here is just at the top of the segment. The segment
 25 goes from underneath this clean fill, clean cap, if you

09:36 1 would, down to some depth here, and the average value there
 2 is about 8100. Here, the one right next to it, it would be
 3 these two pairs here. The other one value has a value of
 4 about 3800 parts per million.
 5 So, again, they're integrating the material within
 6 the pit. They're not taking the cover material, but they
 7 knew by the basis of these two profiles how thick the cover
 8 was.
 9 So, when they come back as part of the JI, that's
 10 given by the two orange flags there okay. The samples that
 11 they submit as part of the JI investigation are only the
 12 cap material, and they come back basically pretty clean.
 13 Okay. These cool colors here, this yellow and the blue as
 14 opposed to the purple, these are significantly lower in
 15 contamination. One is about 17 parts per million. The
 16 other one is less than 4. It's a non-detect. Okay.
 17 And Chevron also collected these samples down here
 18 but did not submit these in these JI Reports. They
 19 submitted them later in the rebuttal reports and really
 20 didn't discuss them at any length. Okay. So, they're not
 21 in the original JI Report. The information that they had,
 22 that they gathered at the same time as this, was reserved
 23 and put into a later report and not brought front and
 24 center, so to speak.
 25 Okay. So, we'll come back to this cross-section

09:37 1 in a few minutes.
 2 Now, Louis Berger sampled all around this area,
 3 and we show Respondent's Tab 33, Page 1. Sorry, and that
 4 one was Respondent's Tab 23, Page 2, the one we were just
 5 looking at.
 6 That's a planned view of the site itself. Louis
 7 Berger basically threw a lot of darts in this pit area here
 8 to try to get a good feel for the nature and extent of
 9 contamination just around this pit. Obviously we didn't do
 10 the rest of the site. We have a very good understanding of
 11 what's in this pit. What you notice here by our color
 12 coding in these purples and reds is all highly contaminated
 13 samples and they're largely given by the red flags that
 14 you'll see behind you here. I'm not going to call out any
 15 particular ones. As you can see, there's lots of purples
 16 and reds here. Enough said.
 17 So, we collected these soil borings here that gave
 18 us an estimate of the contamination and the depth of
 19 contamination here. Okay. We could observe petroleum
 20 product in these samples. We either had petroleum sheens
 21 or petroleum odor or in, some instances, free oil. We
 22 found them both within the pit itself as well as outside
 23 the pit. We found values that were high either at the
 24 pits' edge or actually outside of the pit. Again, in
 25 evidence of the fact that we have liquid oil in this pit in

09:38 1 2013 when we did these borings, and this comes back to the
 2 reason that we brought you to the sites earlier is that we
 3 planned to--well, we could demonstrate that the liquid oil
 4 here cannot be exclusively attributed to Petroecuador
 5 because we know from the sites we visited that we can find
 6 liquid oil on sites that we have where TexPet was the only
 7 Operator. Okay.
 8 So, I just want to review, then, quickly what we
 9 found overall, to summarize what we found to this point
 10 with regard to the other sites and how it applies here.
 11 We've tested basically five of the Claimants' assertions:
 12 Essentially, Claimants' assertion that oil spilled
 13 or oil in pits in the Oriente rapidly becomes asphalt-like
 14 and is mobile is not true.
 15 Claimants' assertion that liquid oil found in pits
 16 or in spills could not be due to TexPet activities is not
 17 true.
 18 TexPet's assertion that pits were comprised of
 19 clay that prevented oil from migrating from the site is not
 20 true.
 21 Claimants' assertion that TexPet oil was largely
 22 contained in the pits around the sites is not true.
 23 And then, finally, TexPet oil that has
 24 significantly spread beyond pit parameters is solid and
 25 therefore inert is also not true. Okay.

09:40 1 So, with that, we'll head down to the sensitive
2 area site.
3 (Pause.)
4 DR. GARVEY: Okay. So, let's review again the
5 history of this pit. Okay.
6 It was here part of the TexPet operations that was
7 constructed in the late 1960s when they did this. They
8 drilled and began producing oil at this site. It was under
9 TexPet's control up until 1990, an open pit during that
10 entire time. In the one-year period after Petroecuador
11 takes over the operations, the pit becomes covered.
12 So, in terms of contributions of oil to this, if
13 you would, we have 25 years of operation by TexPet here.
14 We have one year of operation by Petroecuador.
15 As Mr. Connor has said, the majority of waste
16 that's produced in the exploration and development of a
17 well is during the development period and not during the
18 production period. So, we anticipate that the vast
19 majority of the oil within this pit is the result of TexPet
20 operations. That's not to say that there might not be some
21 contribution by Petroecuador, but we don't expect it to be
22 very much.
23 And, clearly, the fact that they operated here for
24 only a year and the fact that we know that oil within this
25 pit remains liquid and mobile would suggest that there's a

09:44 1 significant contribution by TexPet here.
2 So, in the years 1990 to 1991, this area is
3 covered over with a layer of clean fill. It's not a
4 remediation. It doesn't prevent groundwater from migrating
5 through it. It also doesn't prevent anyone from disturbing
6 it. It doesn't really contain the contamination.
7 So, if we can, that one, Greg.
8 And so we have the inventory of these bright red
9 and purple points here that document the contamination
10 here. This pit is, in fact, about 4 meters thick. Okay.
11 The depth of deposit here but based on the cores that we
12 placed in here, we find contamination down to as much as
13 4 meters.
14 So, these bands on these wells here on these
15 borings represent the thickness of the impacted soils here.
16 Okay. So, we have extensively contaminated soils through
17 the length of the pit. Okay.
18 So, what happens over time? Well, in addition to
19 constructing this pit, they also put a siphon in the side.
20 Now, why would they put a siphon in the side? It's a means
21 to control the oil that's in here. Essentially it rains a
22 lot here, as you might well have noticed. Water gets into
23 the pit. It displaces the oil because it's heavier than
24 the oil. It sinks to the bottom. It pushes the oil over
25 the top. You put a siphon in the side, like this one here,

09:45 1 the water can drain from underneath the oil, prevent the
2 oil from overtopping the berms here. Okay. So, it makes a
3 lot of sense in that regard. But this pit, the siphon is
4 still in place here, and I'll let you inspect in a few
5 minutes, but you can actually see oil staining coming out
6 of the siphon to the present time. Okay. This soil here,
7 some on my finger, it's stained with oil. Okay.
8 Now, this oil is not as fragrant as the oils we've
9 had elsewhere. This is a more weathered oil. It's lost
10 more of its volatile components. Perhaps because the cap
11 isn't as protective, this oil is more degraded, but it's
12 still liquid and mobile. Okay.
13 Now, in terms of the impact of this area to the
14 stream here below me, we'll look at the cross-section
15 again. We have the siphon here, a potential source of oil.
16 We have migration of groundwater. If you notice at the top
17 of the hill there, there were groundwater flags on
18 the--there were white-red symbols, and I have the
19 groundwater map right behind. Okay. This is a map--a plan
20 view again--of groundwater contamination here, and I'll
21 identify for you several symbols here in reds that
22 show--this is not the one we were supposed to bring, it was
23 the other one. Anyway, there are five groundwater wells
24 here. Three of them are impacted to the point where
25 they're above the Ecuadorian standard. One of them is over

09:47 1 1000 parts per billion of TPH in the groundwater, and
2 that's by Method 8015, not by Method TEM. That's by the
3 same method that Chevron uses for that.
4 These groundwater wells represent contaminated
5 water within the pit and the immediate vicinity of the pit
6 that's reaching the stream. How do we know that it's
7 reaching the stream? If you notice over there, behind
8 there is a red flag. That's a sediment sample that we
9 collected there. That's highly in excess of Ecuadorian
10 standards. Concentration in that stream sample is on
11 Greg's map. I think it's in purple.
12 MR. EWING: It's here.
13 DR. GARVEY: Right. So, it's in excess of 5,000
14 parts per million by 8015.
15 I'd point out that we will present 8015 numbers
16 here because of the maps we have prepared. If we had used
17 TEM numbers, it would be three to seven times higher than
18 these values, so we would be in tens of thousands of parts
19 per million of TPH. Okay.
20 So, let's talk a little bit more about--so, we
21 have a connection here between--sorry--we have a connection
22 here from the pit to the stream. We have direct
23 observations of contamination. We have oil still coming
24 out of the siphon. We have oil in the groundwater below us
25 that's moving to the stream. Groundwater is not static.

09:48 1 It always flows because it's always got rainwater coming
 2 in, pushing it, displacing it, moving it toward the stream.
 3 Shane, if you wouldn't mind taking a sample and
 4 see if we can get a hit on the PID from it.
 5 MR. EWING: Would you like to walk down? You can
 6 walk down and see a little more closely.
 7 DR. GARVEY: Sure.
 8 MR. EWING: If you would like to come down here.
 9 (Pause.)
 10 DR. GARVEY: While Shane is working on the sample
 11 there to see what we can observe, we already have direct
 12 observations of contamination in the swamp based on the
 13 sample that was collected there as well as other samples
 14 collected downstream. And you'd note as well, just around
 15 the corner here, there are two green flags indicating that
 16 upstream of this point there isn't any contamination--any
 17 appreciable contamination in the stream. So, clearly, the
 18 contamination that's here has arisen as a result of the
 19 activities and then certainly as a result of this pit
 20 immediately to my left.
 21 We should talk a little bit more about weathering
 22 and weathering contamination. We've noticed the presence
 23 of weathered, partially weathered oil--
 24 MR. McDONALD: Just pointing out the oil.
 25 DR. GARVEY: As we said, we discussed the presence

09:51 1 of liquid oil in all of these deposits that we've examined
 2 that are 25, 30 years old yet still have liquid oil, and
 3 they represent a partially weathered but certainly not a
 4 fully weathered oil.
 5 In fact, Dr. Short studied the level of weathering
 6 in these samples using various indices of weathering. It's
 7 different compounds in the oil that tell you how weathered
 8 it is. It's his area of expertise. He's done that
 9 extensively on the Exxon Valdez project. And so, he finds
 10 that the level of weathering typically for the oil around
 11 here is Number 5 on the Kaplan Galperin scale. I'm not
 12 going to go into it. It is a scale that's used to evaluate
 13 and to estimate the degree of weathering.
 14 At that scale at about a value of five, the vast
 15 majority of the PAH compounds that are in the original
 16 crude oil are still there. And because you've lost other
 17 mass from the sample, the volatiles have largely left and
 18 the benzene-related components have largely left, the PAH
 19 concentrations are actually higher than they were in the
 20 original crude oil. As a result, toxicities due to PAHs
 21 have increased in these samples. And so the vast majority
 22 of a significant fraction, if not the vast majority of the
 23 samples of the oil samples that we've looked at have
 24 weathering scales about five as per Dr. Short, and we would
 25 anticipate that the PAH contamination in those samples, in

09:52 1 those oils is actually higher than the original crude oil.
 2 Okay.
 3 MR. EWING: Dr. Garvey, could you just explain why
 4 the PAH is relevant to--
 5 DR. GARVEY: Oh, I'm sorry. Yes.
 6 PAH, the toxicity, is one of the main drivers for
 7 crude oil toxicity. They are multiple ring compounds, they
 8 are typically persistent. They can bio accumulate, and
 9 they often pose cancer as well, so they're a significant
 10 component of the toxicity expression, if you would, that
 11 you get from a crude oil or from oil waste. Okay. All
 12 right.
 13 Last area I want to cover, then, is the human
 14 health exposure here. Either one of the maps will do. I
 15 just need a map.
 16 So, we're now standing here, Pit 3, we're right in
 17 this area here. There's a really high sediment sample is
 18 that guy right there. This is a residence, just through
 19 the trees here. Okay. So, we're not but 25-30 yards from
 20 a residence here. This is obviously somebody's active
 21 farm, and so these people are exposed to this material on a
 22 regular basis. Okay. These oils, these contaminated
 23 sediments, and these contaminated soils and the like are
 24 part of their daily life. Okay. And so, again, this was
 25 the reason to come to this site was to involve and bring in

09:54 1 the human component of exposure to these sites. Okay.
 2 So, just put these aside for a moment. Watch
 3 yourself.
 4 Okay. So, what does this do with regard to human
 5 exposure? Well, human exposure here is primarily the
 6 result of TexPet operations. You either have historical
 7 releases from the pit, perhaps overtopping or coming
 8 through the siphon, or with the continued release from this
 9 pit as the groundwater migration or perhaps siphon
 10 migration or siphon transport as well.
 11 Dr. Harlee investigated three different exposure
 12 pathways. Two of them showed non-cancer health risks
 13 sufficient to trigger a cleanup at this site. Past,
 14 current, and future use of site as a domestic water supply,
 15 the residents say they no longer use the stream because
 16 it's contaminated. The two streams locations evaluated,
 17 this one and the one over there, show risk from
 18 contamination based on all the methods available, including
 19 the one that Claimants acknowledge can be used, the VPH-EPH
 20 Method.
 21 While residents can rely on rainwater, there is
 22 clear evidence that the stream is still being used by the
 23 residents at least on occasion. A tube of toothpaste was
 24 found. Toys were also found along the stream's edge.
 25 Chickens, ducks, and other animals that live in this

09:55 1 residence also drink from this stream.
 2 Of course, if we abandon the site in terms that
 3 this area is no longer productive, no longer producing oil
 4 does not mean that the health risk is gone for regulatory
 5 purposes. Surface oil in front of the house we acknowledge
 6 does not pose a non-cancer risk. However, future use of
 7 groundwater outside of Pit 3 also exceeds the USEPA's
 8 Housing Index, based on all methods available, including
 9 the one that the Claimants acknowledge. Thus, the future
 10 use of groundwater poses a health risk if used as a
 11 domestic water supply.
 12 One more point: Use of a stream at this site
 13 poses a significant cancer risk, one times ten to the minus
 14 three requiring cleanup.
 15 Is that the location there? I'm not sure if we
 16 can see it or not. It's a little bit farther down.
 17 MR. McDONALD: The stream?
 18 DR. GARVEY: Yes.
 19 MR. McDONALD: It's just right past--you see the
 20 grass there? It's crossing up that way.
 21 DR. GARVEY: Okay. So, it's at the stream. Just
 22 beyond our view here is a location where we have a sample
 23 for surface water, and use of that surface water as a
 24 drinking water supply poses unacceptable cancer risks as
 25 well as a hazard risk.

09:56 1 Current observed use of the stream for bathing,
 2 swimming, and laundry just downstream from this location,
 3 indicate that the sediments in water require further
 4 investigation.
 5 So, to conclude then, we've demonstrated the
 6 ongoing availability of TexPet-related contamination.
 7 Okay. All four of the sites we visited, now we can
 8 comfortably say, we can document and see for ourselves, the
 9 presence of TexPet-related contamination and its
 10 availability. Therefore, we can anticipate that the kind
 11 of TexPet impacts we have seen at these sites would apply
 12 to other sites where we've had two different users. Okay,
 13 that there is no--okay. Once Petroecuador picks up the
 14 staff and starts to--or baton and starts to run with it on
 15 the site, that we can say that the TexPet operations have
 16 no long-term impacts. In fact, we know that there's
 17 long-term impacts from the TexPet material that still
 18 remains.
 19 That is, the contamination from TexPet has not
 20 solidified to a benign solid. Okay. It's still a liquid
 21 in many places. Obviously it hasn't solidified. There is,
 22 in fact, some solid asphalt-like material directly
 23 underneath the house that's just down the hill here. This
 24 is the area. We're not sure if it's a spill or a pit.
 25 That's actually the place we found asphalt-like material,

09:57 1 unlike the materials we see here.
 2 Shane, can you just point out to me what you were
 3 going to say?
 4 MR. McDONALD: This is oil coming out in places,
 5 just so you note that, and the other thing is that this is
 6 sand. It's got a little bit of silt in it, but it's almost
 7 all sand, so it's very porous.
 8 DR. GARVEY: Thank you.
 9 So, this again means that this material can
 10 migrate, that we have a conduit to deliver groundwater
 11 here, and that this is not a water pipe of oil pipe--a
 12 vessel, if you would--to contain this.
 13 So, finally--
 14 PRESIDENT VEEDER: Did you get a reading?
 15 MR. McDONALD: It actually didn't go up. I can
 16 tell you that. It had like a small, like one or two, but
 17 it was not the hundreds that we've seen in other places,
 18 but you can smell it. It's very, very pungent, and I know
 19 you know what it smells like now. But, if you want, I'll
 20 bring you a piece.
 21 DR. GARVEY: This is my last statement, then.
 22 TexPet contamination that exists in the Oriente
 23 continues to impact the people of the Oriente with
 24 significant and ongoing risks.
 25 And with that, I'm complete.

09:58 1 MR. EWING: I would invite you to come and look at
 2 this, if you would like to see this while we have it out
 3 here. You've come all this way. It might not be--
 4 PRESIDENT VEEDER: I can see.
 5 MR. McDONALD: And also come look at the hole.
 6 The oil has come to the surface. That's on the surface.
 7 That's the hole right there. Some of the sheen is
 8 bacteria, but what came out of the hole is not.
 9 DR. GARVEY: There's one last point. The access
 10 point for the home here is not this area here. Their
 11 access point is just a little bit--just down the road from
 12 this trail to the stream, if you would, and that's where
 13 you'll find things like toothpaste tubes and children's
 14 toys. Just to be clear, this is not where the family
 15 accesses the stream. It's just down the road--down the
 16 stream.
 17 Okay. That's it.
 18 MR. EWING: Thank you, Dr. Garvey.
 19 A couple of things. I want to close off our
 20 affirmative presentation here.
 21 As you look around, this site has looked
 22 differently every time we come, depending on how the
 23 landowner is using it. There have been times when you'll
 24 see the pictures in LBG's 2013 SI report, where there's
 25 high, relatively tall trees, banana trees, whatever else

10:02 1 these other things are around here. Those tall trees were
 2 cut down, you will see in LBG's 2014 Report, and it was
 3 more cleared out. Since then, as we can see now, this has
 4 all grown back up.
 5 The jungle grows quickly, especially in areas like
 6 this, but it's constantly changing and shifting how these
 7 areas are being used, and this is again another example of
 8 how that--it changes how people use the area, but it also
 9 affects how you're able to sample. So, when LBG came here
 10 in 2014, when this was more cleared, it was much easier to
 11 get out into the stream. Now, we would have to cut through
 12 the jungle to do it, even worse than 2013, harder to sample
 13 when it was much more covered with jungle.
 14 As Dr. Garvey pointed out, we have here a known
 15 TexPet source of contamination in this pit, Pit 3, that was
 16 filled with oil in 1976 aerial images. And again, you can
 17 see that in the Respondent's Tabs 1 and 2.
 18 We know, as you can see from the green flags
 19 above, that we have relatively clean soil above us. So, we
 20 know that starting around here, which happens to be in line
 21 with--or not happens to be--is in line with the pit, we
 22 start to have the petroleum contamination, and that
 23 petroleum contamination continues downstream. If I could
 24 just see this. We have taken samples at various locations,
 25 and while the results are lower downstream, we don't know

10:03 1 yet where it ends. So, we went down past where Pit 4 is,
 2 and there is definite evidence of contamination. So, we
 3 are currently standing up here, like Dr. Garvey said,
 4 across from the purple flag, which we have as a red one,
 5 and it does continue down. We don't know how far it goes.
 6 This is consistent again with what Dr. Hinchee
 7 said at the Hearing, that when you have a spill or any kind
 8 of a release from a pit, it's often near a stream just like
 9 this; and, once it gets into a stream just like this, it
 10 does continue down.
 11 As Dr. Garvey explained issues at Shushufindi-55,
 12 as the stream moves, it has the energy to pick up the
 13 sediments and to take them downstream, and then they're
 14 deposited at various locations where there is a bend or
 15 where there's a pond. We found this at other sites that we
 16 investigated. Guanta-06, for instance, shows us a large,
 17 long stream, and you can see sedimentary, depositional
 18 sediment in LBG's report where they found higher
 19 contaminations, and Chevron as well confirmed those in
 20 their results. Point being, we have the additional
 21 complexity that we had at Shushufindi-55 of the stream and
 22 the sediments and the transport that that makes for us.
 23 But we also now have people who live right on top of this,
 24 and we also have now added the legal complexity of how do
 25 you actually attribute or divide the liability here,

10:05 1 recognizing that Petroecuador has operated here, and we can
 2 talk about some of what they have done in a second.
 3 Actually, Dr. Garvey, could you talk briefly about
 4 how a stream like this would affect delimiting a pit? He
 5 found the streams crossing.
 6 DR. GARVEY: One of the exercises that we did
 7 based on Chevron's assertion that the areas of
 8 contamination were bounded by points, and they placed, you
 9 know, three or four points around a pit area or around a
 10 site and say, well, we got clean values at these distances,
 11 everything is fine. But the problem in several instances,
 12 in more than one instance, is that one of their bounding
 13 points was on the other side of the stream. Contamination
 14 that's going to come down from the stream here--down from
 15 the hillside here reaches the stream, doesn't travel back
 16 up the other side, so finding a clean value on the other
 17 side of the stream is really no evidence that you bounded
 18 the problem, that you know where the contamination stops.
 19 A stream like this one will carry its contamination that
 20 reaches it downstream, and that's clearly what we see here
 21 with these flag points is that we've seen contamination
 22 come off of here and travel downstream. If we were to take
 23 a sample perhaps on the other side of the stream, we might
 24 get a clean sample. That doesn't mean that the problem is
 25 bounded because the stream is now a conduit to wash the

10:06 1 material moving downstream. It's kind of like the police
 2 barricading a train station and watching to see if the
 3 crook got out of the train station and not tracking the
 4 trains as they leave. Okay. It's kind of the equivalent
 5 here. If you don't track the stream, okay, this robber is
 6 going to leave on the next train, and you're going to be
 7 standing around the outside of the platform saying, I don't
 8 see anybody.
 9 So, that's the case here is that the stream does
 10 not provide a boundary. When a stream lies between
 11 contamination and the next cleanest point, the stream is
 12 really a conduit for that material to leave the site.
 13 MR. EWING: Where are we on time?
 14 MR. BLOOM: We have sixteen minutes.
 15 MR. EWING: Well, I will not use all of our 16
 16 more minutes, so we will be able to wrap this up relatively
 17 quickly. But I do want to conclude with what we have seen
 18 at these sites.
 19 This site now, please do look at the aerial
 20 imagery. You can see this pit exists in 1976 and appears
 21 to be filled with oil. Claimants will discuss workovers
 22 that have occurred at this site, and let's just briefly
 23 talk about what workovers are.
 24 Whenever you have a well that's operating, from
 25 time to time you need to do what is called a "workover,"

10:08 1 which is to help the production of the oil coming out of
2 the well. As the oil is coming in, various chemical
3 processes occur which slow down the oil coming out, and
4 what you can do is then use acids, hydrochloric acid, et
5 cetera, to push out or to dissolve those various chemical
6 processes and increase the production rate of a well is one
7 example of a workover.

8 So, what will happen is TexPet would come here or
9 Petroecuador would come here, they will set up their
10 workover rigs, which are the towers that you may have seen
11 as we come here, the shorter looking oil rig derrick
12 towers, and then they can use those to do what they need to
13 do by extracting pipes or pumps or whatever needs to be
14 done.

15 What is different about what Petroecuador has done
16 versus what TexPet has done--and you can see this in
17 Claimants' Tab--I don't have it in front of me--Claimants
18 have provided to you a picture of a workover--and I don't
19 have their tab number. I can give you the reference. It's
20 in their main book--but they provided a picture of
21 Petroecuador coming to do a workover at this location to
22 prove that Petroecuador has done workovers. We don't
23 dispute that Petroecuador has done workovers. We don't
24 dispute that Petroecuador has operated this well for a
25 period of time.

10:09 1 But what's different--I would encourage you to
2 look at that picture--is that Petroecuador has brought
3 tanks. And what Petroecuador does now is they don't use
4 unlined earthen pits like this for their workovers as this
5 picture shows, but instead they have large tanks. I don't
6 think we've actually passed any on the road, but sometimes
7 as you're driving, you see them with these large tanks that
8 they bring in and use for their workovers and collect their
9 fluids there.

10 So, when Petroecuador does a workover now, it's a
11 very different process than when TexPet did it, when they
12 would use these earthen pits.

13 So, I'm sure you will hear about the workovers,
14 but keep the context in mind of what the differences are
15 between then and now.

16 So, to wrap up this site from our affirmative
17 presentation, we have obvious contamination. You can see
18 it in the pipe behind Eric, the staining on the soil. We
19 have obvious contamination in the sediments, and you can
20 smell it here. As Dr. Garvey said, this is more weathered.
21 It's not fresh oil. It's not going to have the pungent
22 odor that Dr.--or Mr. Connor said yesterday. But as
23 Dr. Short has told us, this will have higher concentrations
24 of the carcinogenic parts of oil, the PAHs. Those don't go
25 away as quickly as the more volatile aspects. So, this can

10:11 1 be, as these sampling results have shown, particularly
2 problematic for the people who live here.

3 So, we have contamination. We know that from the
4 aerial imagery that this was put here by TexPet, and we
5 know that we have exposure to people, because we have
6 seen--you can see the chickens, the ducks, the people use
7 this. I don't know that they're home--but they use this
8 area on a daily basis.

9 So, we have the factual underpinnings to the
10 entire Lago Agrio Litigation laid out here in front of us,
11 and we have seen each of those pieces at the various sites,
12 but this one puts it all together.

13 So, with that, I would ask if there are any
14 questions; otherwise, we will cede the floor to Claimants
15 for their affirmative presentation.

16 MR. BLOOM: I would like to invite the Members of
17 the Tribunal to take a look inside the siphon, because you
18 can kind of see--

19 MR. EWING: Just for the record, David, so you can
20 hear it, Eric was just suggesting that you should go up and
21 look at the siphon. As you can see down into it, you can
22 see the oil waste coming out of it, and we do have gloves
23 for some like Dr. Grigera who wants to just touch it.

24 PRESIDENT VEEDER: No questions for the time
25 being, but we will look at the pipe.

10:12 1 MR. EWING: Please. Thank you.

2 PRESIDENT VEEDER: That brings an end to your
3 presentation?

4 MR. EWING: That's the end of our affirmative
5 presentation. We just invite you to take a look--

6 MS. RENFROE: Mr. President, we intend to start
7 right here.

8 PRESIDENT VEEDER: Okay.

9 MS. RENFROE: I ask if we could clear the area
10 just a little bit so--but we're going to generally be here,
11 but if the Tribunal wants to move around in response to
12 Mr. Ewing's invitation, you may want to do that now and
13 then we'll begin.

14 PRESIDENT VEEDER: You start your presentation
15 here.

16 MS. RENFROE: Yes.

17 PRESIDENT VEEDER: But how long will you be here?

18 MS. RENFROE: Very briefly. Approximately ten
19 minutes or less.

20 PRESIDENT VEEDER: After that, we will have a
21 15-minute break.

22 MS. RENFROE: Yes, sir.

23 PRESIDENT VEEDER: Okay.

24 MS. RENFROE: Thank you.

25 (Pause.)

10:16 1 PRESIDENT VEEDER: We're ready. Let's go.
 2 OPENING STATEMENT BY COUNSEL FOR CLAIMANTS
 3 MS. RENFROE: Thank you very much, Mr. President,
 4 Members of the Tribunal.
 5 (Rooster crows.)
 6 MS. RENFROE: I will speak up. It's to add my
 7 voice to the cacophony that we are hearing now.
 8 We are going to cover our points at Lago Agrio-02
 9 but in a different order. But, at a high level, the points
 10 we intend to make are consistent with the points we have
 11 made at the other three sites and consistent with the
 12 position that we have expressed in all of our briefings,
 13 Expert Reports and at the Hearing. We're going to focus on
 14 the RAP. We're going to focus on the data. We're going to
 15 focus on the applicable criteria, remediation criteria
 16 under Ecuadorian standards. And then we'll focus as well
 17 on the role and responsibility of Petroecuador and then
 18 conclude with the Judgment. But this time we're going to
 19 go in a slightly different order simply to not have to
 20 bring the Tribunal back and forth to this location.
 21 And so the point that I want to start with just
 22 very briefly while we are standing down here and while
 23 you're able to observe that siphon and this stream feature,
 24 the first point I want to start with is, what you are
 25 looking at and what you have heard presented to by

10:17 1 Mr. Ewing and Dr. Garvey is completely attributable to
 2 Petroecuador, whose responsibility it was to remediate this
 3 Pit Number 3. Under the RAP, as I'm going to show you in a
 4 little while, TexPet was not assigned the responsibility to
 5 remediate Pit 3. I will speak to that in more detail
 6 shortly.
 7 But now I want to turn to the issue about
 8 individual harm and health risk. I want to point out that
 9 the Judgment, as you well know, did not award any
 10 compensation for any individual harm or damage. None of
 11 the residents that you have seen this week at these four
 12 sites, including this resident up here up the hill, none of
 13 those residents are Plaintiffs in the Lago Agrio
 14 Litigation.
 15 And, in fact, at the Shushufindi-34 site, the very
 16 first site we went to--you remember standing in that pit
 17 and then up the slightly uphill--outside the pit was a
 18 house. That house wasn't there during the Lago Agrio
 19 Litigation. It was only added in 2013. And this house
 20 wasn't here when the JI--Judicial Inspections were
 21 conducted here.
 22 Not a dollar--not one dollar--of the Judgment was
 23 awarded to any individual, and it's important to keep that
 24 in mind as we have heard this week the numerous refrains of
 25 Mr. Ewing about threats to human health. And while threats

10:18 1 to human health are certainly something to be considered
 2 and a very important feature that Chevron evaluated during
 3 the Judicial Inspection, I would now ask--well, in just a
 4 second I'm going to ask Dr. McHugh to explain why this data
 5 at this site also does not present a threat to human
 6 health.
 7 But, before I turn it to him, I want to simply
 8 observe that, in the Lago Agrio Record and in the Lago
 9 Agrio Judgment, the recitations in the Lago Agrio Judgment,
 10 there was no evidence of a cancer claim or cancer impact to
 11 an individual or a non-cancer impact or non-cancer claim to
 12 an individual. There was no such thing in the Lago Agrio
 13 Record or in the Lago Agrio Judgment.
 14 Now, with that, I would like to ask Dr. McHugh to
 15 speak to the issue of whether the conditions we see
 16 here--and while again we noted the responsibility of
 17 Petroecuador, but like I would like him to speak now to the
 18 question of whether they present a human health risk,
 19 whether it's a cancer or non-cancer health risk.
 20 DR. MCHUGH: Thank you very much.
 21 I'm going to address again at this site the same
 22 two issues of safe water and risk. And why don't I start
 23 with the issue of safe water. I have been working on this
 24 project for 12 years, since 2003; and, continuously
 25 throughout that time, there has been this allegation that

10:20 1 residents living in the Concession Area do not have access
 2 to water that's free of petroleum.
 3 Chevron, during their inspection program, tested
 4 all of the drinking-water sources that were identified, and
 5 those samples were properly collected. They were not
 6 filtered when analyzed for petroleum--Mr. Connor will
 7 address that--but they were properly collected, they were
 8 properly analyzed, and they showed that the drinking water
 9 samples--the drinking-water sources were safe.
 10 At this site, the residents around this area use a
 11 rainwater catchment system--you could see that on this
 12 house, the blue storage barrel--and as you walk by you can
 13 see the gutter system that collects the rain. These
 14 rainwater catchment systems, these are springs, they used
 15 hand-dug wells--when Chevron was here for the Judicial
 16 Inspection. They tested wells. They were clean. They
 17 meet drinking water standards. They do not have petroleum.
 18 At three sites we visited previously, the residents there
 19 had clean water.
 20 At all of the sites that I reviewed as part of
 21 this Judicial Inspection process, the residents had access
 22 to clean water. The allegation that the residents--that
 23 any residents were forced to use a water resource that had
 24 petroleum is not supported. The Judgment finding that
 25 residents don't have access to clean water is not supported

10:21 1 by our observations here and by the facts in the record.
 2 There's been a lot of discussion of surface water
 3 versus catchment systems. And I'd just like to say that
 4 surface water, a stream, is not a good source of drinking
 5 water. That's not a situation unique to the
 6 concessionaire. That's a situation worldwide. Whenever
 7 you have people and livestock, surface water is extremely
 8 susceptible to bacterial contamination from animal waste.
 9 When it rains, the water runoff carries bacteria from
 10 animal waste into the surface water--happens everywhere.
 11 And visiting the Concession Area here and seeing
 12 the free livestock has really emphasized that even small
 13 streams are very subject to the bacterial contamination.
 14 And, in fact, during the Judicial Inspection process, the
 15 surface water bodies were tested for bacterial
 16 contamination. The majority of surface-water samples had
 17 coliform bacteria, an indicator of livestock waste
 18 contamination.
 19 So, the catchment systems that you see are not
 20 used to avoid petroleum, and here I would commend the
 21 representatives of the Government of Ecuador for selecting
 22 Site Visit locations that are very far from our hotel.
 23 We've had an extensive tour of the area as we've traveled
 24 back and forth to the inspection sites. And, as you've
 25 traveled back and forth, you've seen these water storage

10:23 1 barrels on residences throughout the Concession Area.
 2 They're widely used. It's easier to avoid bacterial
 3 contamination in those systems and it's easier to manage
 4 bacterial contamination in those systems. That's why
 5 they're being used.
 6 Okay. So, now turning to risk, I'd like to
 7 emphasize again that contamination does not equal risk.
 8 It's a fundamental tenet of toxicology that the dose makes
 9 the poison. In order to have a risk, you have to have
 10 sufficient toxicity and sufficient exposure. When you're
 11 doing a risk assessment for regulatory purposes, as I
 12 discussed in D.C., we intentionally overestimate the
 13 toxicity and we intentionally overestimate the exposure in
 14 order to ensure our evaluation is protected. But that
 15 overestimation is done in accordance with the defined
 16 process in order to ensure that the results are reasonable
 17 and informative. And discussing the reasonableness of Dr.
 18 Strauss's risk assessment, I'd like to provide to you the
 19 tables she provided--two pages each--the tables that she
 20 provided that summarized the results of her risk
 21 assessment. Okay.
 22 Okay. So, the first page is the non-cancer-risk
 23 assessment that Dr. Strauss presented, and as I discussed
 24 previously, she used six different evaluation methods. And
 25 to illustrate the reasonableness of her evaluation, I'd

10:24 1 like to return briefly to Aguarico-06, the site we visited
 2 yesterday, and so I'm going to talk about the first two
 3 rows of her evaluation, the first two rows on the table.
 4 And again, describing this table, the white cells
 5 indicate no risk, and the colored cells indicate a finding
 6 of risk concern based on the evaluation process.
 7 So, if you remember Aguarico-06 from yesterday, as
 8 we were standing on the platform, in the background there
 9 was the stream that was at the treeline, and you guys
 10 stopped and looked at that stream as you were walking the
 11 site, and you saw a sample of sediment from the stream and
 12 saw that that sediment was free of petroleum. And, in the
 13 closing, Dr. Garvey told you that that stream was not
 14 contaminated. He told you that their test results did not
 15 show contamination in that stream.
 16 But, in Dr. Strauss's evaluation, her evaluation
 17 Number 1, which I've always described as the evaluation
 18 process that's consistent with the regulatory framework, it
 19 shows no risk; but, when she deviates from that process,
 20 she finds risk values as high as 11, 11 times the decision
 21 criteria, and she testified that that stream required
 22 remediation in order to protect the local residents. She
 23 testified that a clean stream, a stream acknowledged, clean
 24 by Dr. Garvey, required remediation to protect the local
 25 residents. It demonstrates that her evaluation is not

10:26 1 reasonable.
 2 So, turning back to this site, this site has one
 3 of the three locations where even using her Method
 4 Number 1, she identified a risk concern, and this now is
 5 the second colored box as you look down the first column,
 6 and so it's the pink box that has the Number 3 in it. This
 7 means that her risk value was slightly over the decision
 8 criteria of 1. That evaluation location is shown by these
 9 flags right there, and Mr. Garvey described that as a
 10 location where they assumed use of drinking water. But her
 11 calculations don't just include the use of drinking water
 12 from that location. Her evaluation includes the assumption
 13 that the residents will bathe at that location every day.
 14 And, as part of that bathing, they will get the
 15 contaminated sediments on their skin and they will be
 16 exposed to contaminants through skin. As part of the
 17 bathing they will have incidental ingestion of some of
 18 those sediments and they'll be exposed to contamination
 19 through that incidental ingestion of some of those
 20 sediments.
 21 And, as you can see, that's a swampy location.
 22 The current use of that is not suitable for bathing. The
 23 future use of that is not suitable for bathing. And doing
 24 the risk calculation, assuming that that location will be
 25 used for bathing is not reasonable; and, as a result, her

10:27 1 risk evaluation is not reasonable.
 2 Looking at the other two locations as you look
 3 down Column Number 1, the other two locations that show
 4 color, that indicate a risk, the top one that has the
 5 number of 18 and then the 22 in the brackets, that's the
 6 monitoring well at Aguatico-06 that was installed in that
 7 swampy area that we saw yesterday, and we discussed
 8 yesterday that swampy area is not a current use of drinking
 9 water and it's not a potential future use of drinking
 10 water. That swampy area is not suitable for installing a
 11 well.
 12 The third location where she has a colored box is
 13 from Shushufindi 13, and that's a location that Dr. Short,
 14 the Government of Ecuador fingerprinting expert, testified
 15 was a recent Petroecuador spill, and that the risk value is
 16 2. It's slightly above the decision criteria. And we have
 17 that value because that very recent spill has more of those
 18 volatile components that increase the toxicity of the
 19 petroleum. And we've seen, although there has been a lot
 20 of discussion of weathering, there has been agreement that
 21 those volatile constituents do dissipate very quickly. And
 22 so, although that was a risk at the time it was measured
 23 because it was a recent spill, that risk will not persist
 24 for a significant period of time as those volatiles, those
 25 most toxic constituents dissipate.

10:30 1 another one of those samples that was evaluated for TPH
 2 using three different methods, two of them non-detect; the
 3 third, a low level detection. All of the results meet
 4 Ecuadorian surface water standards, USEPA drinking water
 5 standards, and World Health Organization drinking water
 6 standards. So, the surface water here is safe.
 7 When Dr. Strauss evaluated this location, making
 8 all the same assumptions she made here, assuming that there
 9 would be bathing here in addition to using this as drinking
 10 water, the risk number she got when she evaluated it in
 11 accordance with the regulatory framework, the value she
 12 reports is zero, which is clearly below the decision
 13 criteria of 1. It indicates that this location is safe for
 14 all of those uses, and that demonstrates, even though there
 15 are petroleum impacts here, they are limited in extent
 16 along the stream.
 17 I want to finish just briefly responding to the
 18 issues of PAHs in the sediments. It's certainly correct
 19 that PAHs are more persistent than the volatile
 20 constituents such as benzene that we have talked about, and
 21 they can be measured. When you use a laboratory analysis,
 22 they use a very strong solvent to pull them off of the
 23 sediments, but that does not reflect the risk associated
 24 with these PAHs.
 25 As the PAHs sit in contact with the soil for a

10:29 1 If you turn to the second page, you see
 2 Dr. Strauss's cancer-risk assessment. On that, she
 3 identifies two locations with a cancer risk that she says
 4 clearly merit remediation. The top location, again, it's
 5 the swampy area at Aguatico-06 that we discussed. The
 6 second location is this location here where the cancer risk
 7 is based on bathing at that location every day. And so, as
 8 you walk through Dr. Strauss's risk assessment, you see
 9 that she has not identified any actual risks associated
 10 with the conditions that we've seen during this inspection
 11 or at the other sites that they have investigated.
 12 So, in talking about risk at this site, as
 13 Dr. Garvey mentioned, Dr. Strauss evaluated risk at two
 14 locations. The one we're seeing right there is this
 15 location of a--I'm sorry, it's this location up here, the
 16 purple triangle. So, it's right from the residence that
 17 you can see up there. The second location is down here
 18 where Pit 4 is on the road, and right across the road you
 19 see the second residence that also has a rainwater
 20 catchment system, and there is also a spring further behind
 21 the house. But she evaluated this location here. And, if
 22 you look at her risk table, you see the results of that
 23 evaluation location directly above the T-5 location,
 24 directly above the 3.
 25 So, at this location, the water sample here is

10:32 1 long period of time, they become very tightly bound to the
 2 soil. And so, even if we're exposed to the soil, the PAHs
 3 remain bound to the soil as the soil passes through the
 4 body, and that's called availability. The bioavailability
 5 of the PAHs decreases as they sit in the environment.
 6 There's a lot of scientific literature on that, and the
 7 risk assessment framework says it's important to account
 8 for that process to get an accurate risk. I addressed that
 9 issue in my January 2015 Report, I discussed it in the
 10 text, and I'll provide the scientific literature that
 11 supports that.
 12 That's my evaluation of risk. I'm happy to answer
 13 any questions that you guys have concerning risk.
 14 PRESIDENT VEEDER: No questions now. Thank you.
 15 DR. McHUGH: Thank you.
 16 MS. RENFROE: Thank you, Dr. McHugh.
 17 As we make our way uphill and we'll take the
 18 break, I just want to point out that there's been a lot of
 19 very loose allegations about exposure that we have heard
 20 from the Republic's team. The very area that we're
 21 standing in has been cleared for your visit here. It
 22 didn't look like this a couple of weeks ago. I just want
 23 to point that out. I think that's an important observation
 24 to make.
 25 As then as we go up the hill, you'll remember at

10:33 1 the Hearing when Dr. Strauss testified, the very first
 2 thing she did was she withdrew her opinions about the wipe
 3 samples. The wipe samples that she took, she took from
 4 this house up here, and she later concluded and withdrew
 5 them as not being reliable and not being valid to make an
 6 exposure allegation so I just wanted to point that out as
 7 you make your way up. We can go up the platform and take
 8 our break, and then I'll direct you to our next location.
 9 (Pause.)
 10 MS. RENFROE: Members of the Tribunal, just to
 11 orient you on where we are now, we're just right up here.
 12 You see flags. The yellow flagging indicates non-RAP Pit
 13 Number 3, and I am now going to ask Mr. Connor to address
 14 the data at this site as well as to speak to the question
 15 or the issues about the Judicial Inspection and
 16 Pre-Inspection sampling.
 17 After he talks about the data and the Judicial
 18 Inspection process, then I'll ask Ms. Carol Wood to speak
 19 to the role of Petroecuador and the impacts that its
 20 operations have had at this site.
 21 MR. CONNOR: Okay. Thanks I'm going to follow the
 22 slightly different path here as well to make this even more
 23 interesting than it has been.
 24 First I want to talk about big picture or future
 25 topics. I'll talk about the data and I'll talk about some

10:53 1 project? No, it's not a big project.
 2 Second big-picture item, the RAP. We talked about
 3 it a lot this week, and let's make this point about the
 4 RAP, is that part of the Judicial Inspection scope was for
 5 the JI experts to check to see if the RAP had been properly
 6 done, if it had been fully and properly implemented by
 7 TexPet, and we did that. We went to every one of the pits.
 8 We looked at the documentation, we looked at the data and
 9 the testing that had been done by TexPet at that time, and
 10 we tested those pits ourselves to verify. And every single
 11 time that there was a pit that was assigned to TexPet or
 12 any other feature assigned to TexPet, it had been
 13 remediated. We always found that.
 14 There were other features that weren't assigned to
 15 TexPet, and sometimes we found that they hadn't been
 16 remediated; although sometimes they had been, and
 17 Petroecuador has initiated a very high quality and
 18 aggressive program to deal with these effects. We have
 19 driven by some of the big biotreatment facilities this
 20 week. I don't know if you noticed, but the bottom line
 21 with the RAP, the big picture is that when something was
 22 assigned, we found that it had always been faithfully done,
 23 and the features that we find are exclusively those
 24 features that were not assigned.
 25 The other issue about the RAP to make sure it's

10:52 1 tech stuff.
 2 So, the first big picture issue is remediation.
 3 Okay. At this site, we have two remediation problems.
 4 This pit right behind us, Pit 3 that you can see delineated
 5 with these yellow flags and the stream down there, they
 6 both contain oil that exceeds the allowable limits
 7 specified under Decree 1215. If you came today to deal
 8 with these problems, you would follow 1215, and both of
 9 these features require that action. But it's not a big
 10 project. You saw the stream down there. It's a very small
 11 drainage. You crossed a lot of big rivers getting here.
 12 You crossed some pretty big streams just down at the end of
 13 the road here. This is a pretty small issue. It's not an
 14 expensive project.
 15 Petroecuador has done many projects like this. I
 16 worked on many projects like this. This is not an
 17 expensive project. This is not a multimillion dollar
 18 project. This may not be even a hundred thousand dollar
 19 project, certainly not more than \$200,000.
 20 So, doing these things, there's a lot of
 21 experience. Petroecuador has initiated a plan and a
 22 program that does these pits at costs that are far less
 23 than assumed in the Judgment, and Dr. Hinchee has talked to
 24 you about that.
 25 Do they need to be remediated? Yes. Is it a big

10:54 1 clear is that TexPet did do streams. They did cleanup
 2 streams when they were assigned to them. There was at
 3 least three locations--Sacha-05, Sacha-89, and
 4 Shushufindi-13--that I know of. And at those locations
 5 they're streams bigger than this that--where there was
 6 sediment contamination, and what was found during the
 7 course of the JI was incorporated. There were also 25
 8 additional pits that were found at some of these sites.
 9 Sometimes it was hard find these pits. Well, they were
 10 found, they were added and that was by agreement, and the
 11 Parties affirmed that, and they signed off on that.
 12 Big picture about site conditions now, third big
 13 picture--
 14 MS. RENFROE: Excuse me, Mr. Connor. Do you want
 15 to talk about Pit 3 in the aerial photographs before you go
 16 to the site conditions?
 17 MR. CONNOR: No, I'm doing big picture and then
 18 I'm going to Pit 3.
 19 MS. RENFROE: Thank you.
 20 MR. CONNOR: Big picture on site conditions is
 21 that we have been to four sites this week, and we've set up
 22 tents and we walked out to look at the contamination, and
 23 how far did we walk? Here we walked 20 meters; Aguarico-06
 24 walked farther, maybe 50 meters, we walked--the distance
 25 out to the stream out there that was clean was 80 meters;

10:55 1 Shushufindi-34, walked up the road 80 meters, 50 meters, I
 2 don't know; Shushufindi-55 yesterday, we went from the cars
 3 over the closed pit and down to the stream: 100 meters,
 4 50. All the features are near the sites. They're all near
 5 the sites, and that's what we've said when we said those
 6 features are approximate to the facilities. That's what I
 7 mean. You can reach there very easily--a billion dollar
 8 remediation, you've got to get in your car to drive through
 9 it. I have never worked on a billion dollar remediation in
 10 my entire career. I worked on tens of millions or
 11 50 million or 100 million--never have seen a billion dollar
 12 remediation. You drive through one of those.
 13 So, at any rate, we walked to it. Did we see the
 14 full extent? No, we didn't. We didn't see the full
 15 extent, but you can see, physically we know they're close
 16 to the facilities. At this particular facility--Ernie, if
 17 you can show me your map--this is probably the facility
 18 that has the longest extent of the four we've looked at.
 19 And, at this one, as Dr. McHugh pointed out, we're
 20 sitting right here, this is in your Site Packet, it's one
 21 of the box maps, we're sitting right in front of Pit 3
 22 here, and there is--this water sample is right here,
 23 contains sediment and they're contaminated. But the water
 24 samples collected by the various Parties going down the
 25 stream, both the Ecuador Experts and Chevron and the

10:58 1 cleared off. There's fresh dirt put over that. That's why
 2 the Parties are in agreement that by that time these two
 3 pits have been covered with earth. And how do we know they
 4 were covered with earth and not remediated? Well, you can
 5 look at them. One of the things you do, when I inspect
 6 sites and look at closed pit, is you see if there is any
 7 ponded water on the pit. You can see ponded water over
 8 here. You can see how lumpy the surface is. When you push
 9 dirt over a pit without solidifying the material underneath
 10 it, it sinks and creates a lumpy surface. Later we'll be
 11 seeing a remediated pit. Remediated pits by TexPet, the
 12 remediated pits by Petroecuador are flat and firm, with a
 13 slight crown to shed water. When you step on them, you
 14 don't sink in. That's normally what you find in a
 15 well-closed pit.
 16 So, you see that these two pits--there's Pit 2
 17 over there in those trees and Pit 3 here--are very boggy.
 18 They haven't been remediated. We also know they haven't
 19 been remediated because, when you drill into them, there's
 20 a lot of loose gunk in there. Okay. So, those pits need
 21 to be remediated.
 22 If we then go to the data on these sites--let me
 23 point out one other thing.
 24 With regard to pits, there were many pits closed
 25 by Petroecuador after July 1990, and you will see in

10:57 1 Plaintiffs, all met Ecuador surface water quality criteria,
 2 USEPA drinking water quality criteria, and World Health
 3 Organization quality criteria.
 4 So, the impacts to the surface water are limited.
 5 There are impacts to sediments that go farther, but we know
 6 that we have a limited problem. We know we have a limited
 7 problem. So, that's what I mean when we said we have
 8 limited impacts outside of pits. That's the big picture on
 9 that.
 10 Next big area is--and now I'm going to focus in on
 11 Pits 2 and 3. They're right here; all right? These were
 12 two pits. I'm going to show you when they were closed. I
 13 think we're not in any disagreement about the closure date
 14 for these pits, but let's look at what the evidence is. I
 15 think we looked at this in the Hearing.
 16 The first aerial photo we showed you is 1985.
 17 1985, here is the platform. We're seated right about here.
 18 There's the black shape of the pit. It was an oil pit.
 19 It's right to the north of the platform.
 20 The next pit we have is July 1990. The Parties
 21 are in agreement that block spot right there is a pit, and
 22 there's another shape right here that's Pit 2. I don't
 23 know if you can see that? Do you see that?
 24 And then, in October '91, this whole area has been
 25 scarified; it's been scraped. All the vegetation is

11:00 1 Exhibit C-13--it's the HBT-Agra inspection--on Page 6-16,
 2 they talk about I think it's 46 closed pits that they
 3 found. And they say in there: It's our understanding that
 4 most of these pits were closed by Petroecuador after
 5 June 1990.
 6 So, the auditor that was doing the work at that
 7 time said that most of the pits were, to their
 8 understanding, had been closed by the current Operator. So
 9 that's why--that's been our opinion, and the documents
 10 support that.
 11 If you look at the data, we still have the red
 12 flags and the green flags, and without belaboring it, you
 13 notice there is a lot of red flags inside the pit, and
 14 there's green flags outside the pit; right? And, if you go
 15 down to the stream, there is green flags upstream, there is
 16 some red flags tracing the sediments contamination
 17 downstream, and there's also green flags for the water,
 18 which cleans up before the sediment.
 19 Okay. So, that's the basic results here. Again,
 20 contamination of the same pits. We don't get contamination
 21 leaving pits. There is one exception to that here. You
 22 see outside where the soldiers are standing over there?
 23 There's a red flag on the platform that's outside the pit.
 24 We don't know if that's from the pit or if it's from the
 25 platform operations. There used to be a flare located

11:01 1 right there, and the flares sometimes drip oil.
 2 There is also one well that's down the hill
 3 that--there's two wells that are about this far away from
 4 each other, they're within 2 meters. One of them was clean
 5 and one of them had a low level hit of TPH. So, this is
 6 one of those site where we do have an exception. We do
 7 find some things outside of pits. But we know that this
 8 pit is not actively recharging and causing continued
 9 contamination of that stream. And that's really the point
 10 of disagreement here. We don't really disagree on where
 11 stuff is. We disagree on where it's going.
 12 And the concept that was presented by the Ecuador
 13 experts is that the materials in this pit are contained or
 14 moved down through the groundwater and out into the stream.
 15 We know that's not happening because outside that pit the
 16 soil borings are clean. If it was contaminated, they would
 17 be contaminated, too. Down on the hill we have other clean
 18 borings and we have other clean wells. If it was
 19 contaminated, those would be contaminated too.
 20 There is one location that has a hit, and that
 21 could be affected by one of these other pits. All right.
 22 But the concentrations that are in there are way lower than
 23 what's in the stream, way lower by a factor of well over a
 24 thousand times.
 25 So, that concentration cannot be causing this high

11:03 1 concentration; right? You can't use dilute coffee to make
 2 strong coffee. A really dilute concentration can't cause
 3 this. This is evidently a spill of some sort. It could be
 4 the discharge from this pit when it was closed. That's
 5 plausible. It could come out that siphon pipe. When you
 6 see a remediated pit, over here, there is never a siphon
 7 pipe. There is only siphon pipes left on unremediated
 8 pits. When TexPet remediated pits, the siphon pipe and all
 9 the other appurtenances were removed. When Petroecuador
 10 remediates pits, the siphon pipe and all other
 11 appurtenances are removed. So, you only see that on a pit
 12 like this.
 13 So, then we talked about a delineation of the pit,
 14 we've looked at the streams, the sediments, and we
 15 understand that these materials are not going from the pit
 16 to the stream. Why do we care about that? We care about
 17 it because it gives us our sense of urgency. If it was
 18 actually causing a problem and getting worse then you need
 19 to get it right away. Well, it should be gotten right away
 20 anyway. It needs to be cleaned up. But it's not getting
 21 worse over time. These sediments have been here for some
 22 time, they're highly weathered, we know they've been there
 23 a long time and--for some period of time and they're not
 24 moving, because they're still there.
 25 We go downstream and there's a really important

11:04 1 fact. Let's look at two things. Look at the solids. So,
 2 you'll notice that--as I said before, you see these red
 3 markers, the contaminated sediments stop here and then
 4 resume again right next to Pit 4; okay? So, we have red
 5 dots coming down, and when you get to location
 6 LE-2-PI-Z-23, there is no contamination, but then it starts
 7 again. There was a major spill event that Ms. Wood will
 8 talk to you about that happened in the last ten years where
 9 oil came down into Pit 4 and Pit 4 was cut to allow that
 10 oil to drain into that stream. So, that is a plausible
 11 explanation of why we get clean and then we get oily again.
 12 It's not very oily because the water at that location is
 13 clean. And that's important to us in terms of
 14 understanding--we have a water one? Okay, we got it.
 15 Notice that the water is not carrying the
 16 sediments. I think that was a theory that was presented.
 17 I think we talked about it today: If you have sediment in
 18 motion, it will contaminate the water. We have multiple
 19 water samples taken down here by all the Parties and all
 20 the Parties who consistently find that water is not
 21 contaminated. So, the problem is limited to this area, and
 22 it's not expanding. If it was expanding, that water
 23 wouldn't be clean.
 24 So, we have the data to show us that we've got a
 25 relatively small problem. It does need remediation. It's

11:05 1 not a big project, and we do have a good understanding
 2 where it is.
 3 Okay. All of that information you can find
 4 in--that analysis of the migration you can find in my
 5 Report of January 2015, Appendix B.
 6 Okay. Now, I'm going to talk about tech stuff,
 7 technical stuff. You've heard a lot of talk about
 8 chemistry and sampling and gizmos, and I think we're
 9 confusing you. I mean, you know, it's my fault, too.
 10 Nerds get talking about this stuff and it takes a while
 11 before we realize nobody really cares sometimes. I don't
 12 know if you ever had that experience.
 13 (Laughter.)
 14 MR. CONNOR: But, at any rate, so we told you that
 15 this is really simple, that you can see oil and you can
 16 smell oil, and then we talked to you about geochemistry and
 17 PIDs and all this stuff. And what are we talking about?
 18 We're talking about--the reason we have all these
 19 conversations is that, if--you can see oil and you can
 20 smell oil, but you got to know what you're seeing and
 21 smelling, and there are a lot of mistakes that are made.
 22 It's a very common problem where people think they
 23 see oil in the stream, and it's not, and I'm going to
 24 explain that to you; okay? And I'm going to talk about a
 25 number of technologies--or testing technologies that have

11:07 1 the problem of telling us there is oil there when there is
 2 not oil there or telling us that there is oilfield impact
 3 when there is not oilfield impact. That's why there is so
 4 much discussion of the nerdy stuff during the Hearing and
 5 by me this week.
 6 So, let's start with one of the nerdy topics, and
 7 that's bacterial sheen.
 8 There is bacterial sheen in that swamp down there.
 9 There is also oil in that swamp. At the other sites we
 10 went to, particularly Aguarico-06, as you're walking along
 11 the walkway, there were bacterial sheen on either side.
 12 There is always bacterial sheen in the wetlands here.
 13 There is always bacterial sheen in North America, in
 14 England, in any country where you have a warm, humid
 15 climate in a wetland. Bacterial sheen is bacteria that
 16 forms a milky film on the water surface. And when you look
 17 at it in the sun, it's iridescent. It looks like oil.
 18 It's a common mistake. It's a common mistake.
 19 And there's all this documentation in this case
 20 that there was oil seeping out of banks. There's oil
 21 seeping out of the grass. That's bacterial sheen. There
 22 is oil in some of these locations, but the pervasive
 23 observation and impression of oil is very often related to
 24 that mistake. I haven't done a demonstration of that
 25 because I don't think you guys want to go back down there,

11:08 1 but I can, I can.
 2 Okay. So, in our case--I don't mean to be at all
 3 disrespectful about that, but it is a common mistake, and I
 4 certainly didn't know it until I learned it many years ago,
 5 too. So, it's a field technique. It's something that's
 6 important to know.
 7 And to validate our interpretation of that, we
 8 also ran laboratory analyses to confirm that our
 9 observations were right. During the JI, we collected film
 10 samples, sheen samples, sent them to the laboratory to
 11 confirm that they are bacterial or petroleum, and we found
 12 our observations were correct. So, the reason we believe
 13 our eyes and our experience are that because we tested it.
 14 The next thing is the PID. The PID is the
 15 photoionization detector. We used those. The Ecuador
 16 experts have used those. They're a good and useful tool.
 17 But the thing about it is they are a screening tool. They
 18 can tell you that maybe there is something in that sample,
 19 but it's trumped by the lab data. So, PID measures
 20 anything volatile. Anything you can smell it will indicate
 21 it's there. If you take rosemary, right, if you use really
 22 fresh rosemary in cooking and you crumble that up, it will
 23 hammer that PID. It will scream; right? Because it's
 24 letting off natural organic volatiles, and the PID will
 25 pick those up.

11:10 1 And the PID will pick up a crushed flower. It
 2 will pick up a lot of things. And so knowing it does that
 3 means you have to consider that when you measure a PID in
 4 the field, it could be wrong. It could tell you you're
 5 seeing oil when you don't.
 6 So, what do we do is we use the PID as a guide,
 7 just as Dr. Garvey described. But once you get the PID
 8 reading and you think you have a sample that might have oil
 9 in it, you send it to a lab to get it tested; and once
 10 you've tested it, you have a definitive measure of whether
 11 or not there is oil in it. The PID was only a guide. It
 12 was only a guide. It's like the witching stick for water.
 13 You can find it with a witching stick, but you've got to
 14 drill to hit the water; right? So, let's keep that in mind
 15 that it can be a useful tool, but it's limited.
 16 The TEM test--I know you guys haven't heard enough
 17 about this. I'm only going to talk about it for like 15
 18 minutes.
 19 MS. RENFROE: You have about one minute left.
 20 MR. CONNOR: So, I'll make it shorter.
 21 (Laughter.)
 22 MR. CONNOR: The problem with the TEM test is it
 23 calls non-petroleum things petroleum. That's the
 24 fundamental problem with it, and so it's not a reliable
 25 test. If you have a lot of organic in there, it will tell

11:11 1 you it's oily, and it's not.
 2 Filtration. There is some talk about filtration.
 3 I need to clarify one thing first is that Dr. Garvey was
 4 right that the Protocols called for filtering to take out
 5 metals and sediments but not filter when you're testing for
 6 petroleum. We never filter it when we're testing for
 7 petroleum. We understand that. If you look at, it's
 8 Exhibit C-499 and C-500, which are the sampling analysis
 9 plans, if you look in the Sampling Plan Table 4, you will
 10 see the filtering is specified only for metals. Organic
 11 samples like petroleum were never sampled--never filtered.
 12 So, why do you filter for metals? We filter for
 13 metals because we want to make sure that we're not calling
 14 something that's an oilfield impact when it's not. So, if
 15 we go to someone's water well and it has sediment in it,
 16 that sediment could be natural sediment. For me, to
 17 pollute the person's water well with metals, those metals
 18 have to dissolve in the groundwater and transport there.
 19 Solid particles can't work through an aquifer like that.
 20 It has to be dissolved. And so to tell if I have had an
 21 impact on that water well, I need to take a sample, get the
 22 dirt out of it and check the dissolved water. Did I
 23 contaminate that person's water? If I want to get the
 24 correct answer, I need to filter it, so I don't say I have
 25 a contamination when I don't. That's why we filter. Do

11:12 1 all the people here filter their water? Some do, some
 2 don't. That's their prerogative. We filter it so we can
 3 get the right answer. That's why we filter.
 4 The next issue is clarification on the weathering
 5 issue. You heard a lot about that this week, and I just
 6 want to clarify that my reports tell you that what's left
 7 is principally resins and asphaltenes, and I think even in
 8 the quotes that Mr. Ewing gave us, you'll see that it will
 9 progress towards a solid asphalt. It doesn't always get
 10 there. He quoted a statement from Sacha 21. That's one of
 11 the first JIs I did, and at that site there is this big
 12 asphaltic mass. It's big. It's like 10-meters across.
 13 It's hard, and it's not bioavailable, and when I said that,
 14 I was talking about that asphalt mass. That's not always
 15 like that. In this pit you still have some liquids, but
 16 they're all biodegraded, degraded weathered liquids; right?
 17 I think Mr. Ewing read the thing: They're not
 18 soluble--they're not soluble; they've lost their volatiles,
 19 they've lost their volatiles; they're not mobile, they're
 20 not mobile for all the reasons we've said this week. And
 21 we saw that on a macro basis because there is very rarely
 22 anything outside those pits, so that's weathering.
 23 Now let's talk a little bit about this PI-JI
 24 issue. Right. And I'm just going to talk about it at this
 25 site. I think Ms. Wood will talk about it a little bit

11:14 1 more. And I am going to show you this cross-section and
 2 just try to clarify something. It seems like there is a
 3 very--you might have to put it up here, Danny, so we can
 4 see it. It seems like there was a fundamental
 5 misunderstanding of what the Chevron JI teams were doing in
 6 the field. We talked about this a little bit in the
 7 Hearing. I've written about it in my Reports over and
 8 over, but there is a persistent misunderstanding on this.
 9 We did not use the PI to avoid contamination.
 10 I've explained that to you. We found plenty of pits. We
 11 found plenty of stuff. There's stuff on a lot of these
 12 sites, and it's all recorded in those JI Reports.
 13 On 15 of the 45 JIs that Chevron did, they had two
 14 different teams, with the Agreement of the Judge, and you
 15 can read the Transcript of the Hearing and it says yes, you
 16 can have these two teams. The JI team did all the things
 17 that were asked in the JI. The Rebuttal team took all the
 18 things, took share samples with the Plaintiffs.
 19 So, at this particular site, Mr. Garvey was
 20 correct that the JI team, headed by Mr.--Dr. Bianchi, took
 21 the surface samples because the surface samples were
 22 required in the JI. You were to take surface samples from
 23 every pit to see if the contamination had reached the
 24 surface because if it was at the surface, someone could
 25 touch it. So, at every site, we'd take a surface sample

11:15 1 from every pit.
 2 And they also took a deep sample in the pit.
 3 You'll see every site, you go to these pits, there is a
 4 deep sample. On these 15 sites, these samples were taken
 5 by a different team--they were called the Rebuttal
 6 team--and two separate reports went to the Court: One was
 7 JI, one was rebuttal. If you put them together, you got
 8 the whole picture on this site. Rebuttal does have a map
 9 that shows where the pit locations are. It has all the
 10 data. Dr. Bianchi's JI Report talks about rebuttal
 11 sampling, it talks about the PI sampling. It mentions
 12 these locations. All right? So, you have to put those two
 13 together, and then you have the picture. They were both
 14 given to the Court. All the data was given to the Court.
 15 There is no mystery about where the pits were at any time
 16 during these JIs.
 17 So, when I did my analysis, in the Reports I have
 18 given you, I've used all that data too, and all that data
 19 has been available to Ecuador experts, which is a good
 20 thing.
 21 MS. RENFROE: Thank you, Mr. Connor.
 22 MS. WOOD: Good morning.
 23 Well, you will be pleased to hear that I'm going
 24 to be pretty short because Mr. Connor already covered a lot
 25 of what I was going to say. That shows you how well

11:17 1 coordinated we are.
 2 First, two points I wanted to address very
 3 quickly. One is the PI-JI issue, and you heard Mr. Ewing
 4 say before--
 5 (Pause.)
 6 MS. WOOD: So, one was the PI-JI comments that Mr.
 7 Ewing had made at the beginning--also Mr. Garvey. The
 8 second is Petroecuador's use of this property and continued
 9 operation of this property and this platform.
 10 Mr. Ewing gave you the impression that the PI-JI
 11 process was in some way how nefarious. I think Mr. Connor
 12 explained it to you very well. I wanted to point out some
 13 documents in the record that underscores what we're saying
 14 and that the Lago Agrio Court was not at all misled by
 15 Chevron. The information about these pits and the samples
 16 that they took about these pits are all in the record.
 17 Specifically, I would point you to Mr. Bianchi's
 18 Judicial Inspection Report, excerpts of that is at Tab 51,
 19 which talks specifically about the various pits and
 20 identifies the sampling that the JI Expert for the
 21 Plaintiffs had conducted and presented.
 22 And this one I will actually show you. At Tab 53,
 23 you have the Judicial Inspection Acta, and we've talked a
 24 lot about Actas in the past, about Actas associated with
 25 the RAP. This was an Acta or Transcript of the Judicial

11:20 1 Inspection Hearing, when the Judge came out here and the
 2 Parties and the Judge directed the technical people to
 3 collect samples and respond to certain questions. At
 4 Tab 52 in our site Rebuttal Report, we have
 5 excerpts--excuse me, yes, Tab 52, we have excerpts from
 6 that Acta, and then actually highlighted every place where
 7 there is a discussion about Pit 3, about Pit 2, about the
 8 fact that there were more than one pit at this site. But
 9 don't forget the purpose of the JI was to go and look at
 10 the RAP sites, at the RAP pits, and that is what
 11 Mr. Bianchi was doing when he focused a lot of his
 12 discussion on that pit, which Ms. Renfroe is going to talk
 13 with you about.

14 Also, behind Tab 54 is the Rebuttal Report that
 15 Mr. Connor mentioned to you. Again, I will just show this
 16 to you. There is discussion here about the rebuttal
 17 sampling that was done, specifically back here at Pit 3.
 18 Again, Mr. Ewing implied that there was something again
 19 untoward because this was written and presented by the
 20 attorney for Chevron.

21 That is the way the Rebuttal Reports were done.
 22 Mr. Callejas, the attorney for Chevron, was the author of
 23 this, presented this Report, but there was definitely
 24 technical discussions in here prepared by technical people.
 25 So, any allegation that somehow Chevron gamed the system or

11:21 1 TexPet gamed the system by any type of nefarious use of the
 2 PI-JI is simply incorrect, and the documents show that.

3 The second point I wanted to make to you really
 4 quickly is the Petroecuador issue. You've heard a lot
 5 about it, as we've talked at the various sites. I hope you
 6 also see, as we have driven the many kilometers to get to
 7 the various places, the number of Petroecuador and
 8 Petroecuador contractor operations. We passed another
 9 Production Station on the way here. I think you probably
 10 saw the flares. Not as large as the ones we saw at the
 11 Aguarico Station but we also saw smaller flares.

12 So, just big picture real quick. Again, this is
 13 at Page 37 of your mini-packet. This is the 2 kilometer.
 14 The point we're making here is that this is a very, very
 15 active oilfield. There are over 15 oil wells here that
 16 Petroecuador either operated or drilled themselves.

17 Now, many of these are former Consortium
 18 locations, which is important for you to keep in mind when
 19 you're looking and talking about the Judgment.

20 You heard Mr. Ewing talk yesterday about, well, it
 21 really doesn't matter about the Ecuador Code of Regulations
 22 because what the Judgment said is to take it to background.
 23 That obviously makes no sense, and again it's another point
 24 as to why the Judgment makes no sense and is absurd based
 25 on the facts.

11:23 1 If you have an active oil-and-gas operation going
 2 on, an active platform, you have spills, you have releases
 3 from workovers, from other handling of the petroleum.
 4 That's going to cause more contamination. So, why would
 5 you have Chevron or TexPet come back to active operations
 6 and remediate to background when they're going to continue
 7 to have Petroecuador operations and spills coming right
 8 along behind that? So, it's just another point where the
 9 Judgment makes no sense. It's not based on reality.

10 Talk about workovers very quickly. Mr. Ewing said
 11 we'll hear about workovers. Well, you will hear about
 12 workovers. There are a number of workovers here.
 13 Petroecuador operated this facility for at least 24 years.
 14 To our knowledge, this well was producing up until 2011.
 15 It could have been longer. During that time period, they
 16 had over 24 workovers. And while currently, and that's
 17 very good that Petroecuador is currently taking any waste
 18 they pull out from the well and putting that in barrels,
 19 that wasn't the process they always used, and it certainly
 20 wasn't the process going back into the early years when
 21 they operated this facility.

22 There are flares that were used on this property,
 23 not as large as the flares we saw at Aguarico-06, but there
 24 were flares used on this property.

25 Spills. Just very briefly, there are at least

11:24 1 five spills to our knowledge at this site. Mr. Connor
 2 pointed one out to you, but this is actually a Petroecuador
 3 Petroproducción document that shows the spill, and this
 4 is--actually, you can hand it back to her--it shows the
 5 actual release from the platform, going all the way down
 6 this road. I don't know if any of you saw a flag, a little
 7 yellow flag as we came in where a pit is located, went all
 8 the way down the road, went into that pit, and Petroecuador
 9 cleaned some of it up, but it wasn't a complete
 10 remediation.

11 In addition to just impacts at this site, the
 12 other question it raises is if Petroecuador is out clearing
 13 up Pit 4, why didn't they come back and clean up the pits
 14 that they were responsible for? We, as in TexPet, only
 15 have responsibility for RAP Pit 1. Everything that was
 16 left was Petroecuador's. They should have come and
 17 addressed the other pits at the same time that they were
 18 addressing Pit 4.

19 And I would also refer to Tab 22 in our Site
 20 Packet, where it shows you pictures of the property, which
 21 is further down the road, where you truly can see liquid
 22 oil and what liquid oil looks like.

23 I will conclude and turn this back over to
 24 Ms. Renfroe. I would just simply say that, pursuant to the
 25 RAP, the Parties split responsibility for the environmental

11:26 1 liabilities out here, and it made sense because
 2 Petroecuador was going to continue to operate here. If
 3 Petroecuador had remediated the environmental liabilities
 4 from the Concession that were not assigned to TexPet in the
 5 RAP, we would not be here today.
 6 With that, I will conclude.
 7 Thank you.
 8 MS. RENFROE: Members of the Tribunal, I'm going
 9 to ask you to move one more time.
 10 PRESIDENT VEEDER: Okay.
 11 MS. RENFROE: I'm going to take you now to the
 12 only RAP feature assigned to TexPet that you will see or
 13 have seen in these four sites.
 14 (Pause.)
 15 MS. RENFROE: Okay. I think we have everybody, so
 16 with your permission I will start.
 17 PRESIDENT VEEDER: Sure.
 18 MS. RENFROE: Thank you, Members of the Tribunal.
 19 So, this is our last location and our last point,
 20 and our last site, and I want to end our presentation where
 21 we have begun at each site and where we began in the
 22 Hearing, and that is with the framework that I gave you to
 23 evaluate the environmental issues which, of course, is the
 24 Settlement Agreement and the Remedial Action Plan.
 25 The blue pennant flagging that I'm standing behind

11:32 1 Pages 29 through 33. The Ministry's inspectors came out
 2 here, they came out to this site, and they came out and
 3 inspected TexPet's remediation of this pit.
 4 Now, much of the pit is behind me, and it's been
 5 overgrown because it's been revegetated as was required by
 6 the Remedial Action Plan. It's been overtaken by the
 7 forest, and that's exactly what is supposed to happen with
 8 remediated pits.
 9 So, while I think there is no longer any dispute
 10 about the fact that Petroecuador closed Pits 2 and 3 over
 11 there, the yellow pennant flagged areas, between June of
 12 1990 and October of 1991--I think that's no longer in
 13 dispute as I've heard this morning--they did not remediate
 14 the pit in any form or fashion as TexPet remediated this
 15 pit.
 16 Now, and as I said, the Ministry approved the
 17 remediation of this pit. When the Ministry was here, there
 18 were observations made, photographs taken of oily asphaltic
 19 materials over in the vicinity of Pit 3, Pits 2 and 3.
 20 This is an image from C-2444, the geospatial mapping tool.
 21 And even though--
 22 PRESIDENT VEEDER: Excuse me.
 23 MS. RENFROE: --these materials were seen during
 24 the Remedial Investigation, Pits 2 and 3 were not assigned
 25 to TexPet. Only Pit 3.

11:30 1 represents the only RAP feature assigned to TexPet at the
 2 four sites that you have visited. This is RAP Pit 1, and
 3 you can find that in Table 3.1 of the Remedial Action Plan,
 4 Lago-02 Pit 1, approximately 150 cubic meters was a water
 5 pit assigned to TexPet for closure. This is the only RAP
 6 feature assigned to Tex--or only RAP pit assigned to TexPet
 7 of the four sites we have been to, the only pit that was
 8 assigned to the company.
 9 And so, that means that when you look at the
 10 yellow and blue map, you see the blue pit here, I'm
 11 standing in it, everything else at this location remained
 12 TexPet's responsibility under the Parties'
 13 agreement--Petroecuador's responsibility under the Parties'
 14 agreement. Thank you.
 15 ARBITRATOR GRIGERA NAÓN: It's where you're
 16 standing right now?
 17 MS. RENFROE: Right. Where I'm standing right
 18 now.
 19 And this pit, Petroecuador has expanded the
 20 platform. Originally, this fence and the platform was not
 21 over Pit 1. But since Petroecuador took over operations,
 22 they've expanded the platform. They built the fence. And
 23 so TexPet remediated this pit in the spring of 1996 and
 24 then got approval through the Actas in the spring of 1996,
 25 and those Approval Actas are in your mini-packet at

11:33 1 So, that means that Pits 2 and 3 and Pit 4 were
 2 solely Petroecuador's responsibility. And, as I said down
 3 in the little swampy area, what you were looking at down
 4 there and the siphon and the fact that that pit has not
 5 been properly remediated or those two pits have not been
 6 properly remediated is solely, solely, the responsibility
 7 of Petroecuador.
 8 As I said, TexPet, however, did close this pit
 9 pursuant to the RAP. It followed this eight-step process.
 10 This is an image from your large Site Packet. I just
 11 brought it in case you didn't bring your Site Packets. You
 12 remember John Connor explained this process to you at the
 13 Hearing. And that was the process followed with this Pit 1
 14 that I'm standing in, and it led to the final approval and
 15 the Final Release by TexPet by the Republic of Ecuador and
 16 its Ministry of Energy and Mines and Petroecuador as well.
 17 Now, let's look at the data map, the map, the
 18 solids. Do we have the large solids data map? If we can
 19 pull that up.
 20 One thing that you will see here is that this is
 21 Pit 1 where I'm standing, and you will see that there was
 22 sampling done, but that sampling was done only during the
 23 Judicial Inspection. LBG did not take any samples of this
 24 RAP remediated pit--none whatsoever. They had no evidence,
 25 nor is there any evidence that this pit is leaking.

11:35 1 There's no siphon in this remediated pit. There is no
 2 evidence whatsoever that this pit is threatening the
 3 environment or threatening any human health. And, in fact,
 4 Dr. Strauss did no health-risk calculation for any area
 5 relating to this Pit 1. There is no evidence whatsoever
 6 that this pit is causing any problem to the environment or
 7 to human health--no evidence in the Lago Record, and no
 8 evidence brought forward now by LBG or Dr. Strauss. They
 9 simply weren't concerned with this pit.

10 Now, think about this, how ironic it is, that they
 11 came out to a site where there is both a RAP remediated pit
 12 by TexPet and Petroecuador pits that were not--pits not
 13 remediated by Petroecuador. They didn't even bother to
 14 sample this pit.

15 So, this is an example of--this pit is typical, as
 16 John Connor said, typical of the other TexPet
 17 RAP-remediated pits that were inspected during the Judicial
 18 Inspections. They were approved by the Government of
 19 Ecuador, and then during the Judicial Inspections the data
 20 again proved that they met RAP standards.

21 A quick word about the suggestion yesterday by
 22 Mr. Ewing that we are trying to impose the Ecuadorian
 23 criteria retroactively. I frankly didn't follow his
 24 argument. I found it confusing. But it simply is not a
 25 correct statement of our position.

11:36 1 Our position is very clearly that with respect to
 2 those RAP features, like Pit 1 where I'm standing, that
 3 were assigned to TexPet, the RAP criteria that the Parties
 4 agreed to in the RAP, those were the only criteria to
 5 govern how this pit was to be remediated and to what
 6 standards. At that time, there were no quantitative
 7 standards to decide that, so the Parties reached agreement
 8 on it.

9 With respect to those areas, those non-RAP
 10 features that Petroecuador has yet to remediate, to the
 11 extent that you evaluate their effects today, then we have
 12 suggested that Decree 1215, Ecuador's own remediation laws,
 13 should be applied, and that's how they should be evaluated.

14 So, I want to quickly move now from--I'm going to
 15 remain standing in the only RAP feature we've seen all
 16 week, the only RAP pit, and I am going to wrap up. I'm
 17 going to offer a few concluding remarks.

18 I have in front of me, as I do, the threefold maps
 19 of all four sites, and I'm sure you don't have all of them
 20 with you, but if you wish to look at them, I would offer
 21 them to you. One of the things that--for context, to sort
 22 of reset the context here.

23 In the Respondent's Supplemental Rejoinder,
 24 Paragraph 170, they say: "TexPet caused an environmental
 25 disaster. The equivalent of six Exxon Valdez spills or

11:37 1 three-fourths of the BP oil spill." And what do they cite
 2 to? They cite to Dr. Garvey and LBG to support that very,
 3 very broad, unbelievable statement.

4 And, in fact, this week, Mr. Ewing has even
 5 invoked the Kuwaiti oil spill, pictures of which you saw
 6 during the Hearing. But they have shown you--while we've
 7 been at these four sites, they have shown you
 8 nothing--nothing--that would resemble an Exxon Valdez, a
 9 Kuwaiti oil spill, or even a BP oil spill. They have shown
 10 you nothing like that. Instead, what you've seen are
 11 pockets of contamination, all of which--all of which--are
 12 from non-RAP areas for which TexPet had no remediation
 13 responsibility.

14 So, what you've spent three days doing is looking
 15 at areas that, under the Agreement and under the Release
 16 signed by the Republic of Ecuador, TexPet had absolutely no
 17 responsibility for.

18 So, I question where is this disaster, where is
 19 this oil that they contend exists, citing to Dr. Garvey?
 20 Well, it wasn't in the Lago Record. There is no evidence
 21 of it in the Lago Record. You haven't seen it this week.
 22 It's not in these oilfields. It's not at this site, and
 23 it's not at any of the other three sites you've seen.
 24 While there have been impacts, as we've said repeatedly,
 25 those are the responsibility of Petroecuador and even

11:39 1 those, though, are limited.

2 What we have heard, though, from Dr. Garvey and
 3 Mr. Ewing repeatedly every day, at every site is they don't
 4 know the extent of the contamination. They haven't been
 5 able to fully delineate it, and they don't understand fully
 6 what's happening at these sites, and I'm quoting. If I had
 7 the Transcript, I'd quote for you, but you've heard that
 8 yourself. They've said that at every site, every location,
 9 every day.

10 And if, indeed, that's true, if it's true that
 11 thousands of more samples would be needed to understand the
 12 extent of the Consortium impacts and if it would take many
 13 years of further Site Investigation to do that, if all of
 14 that is true, then what that tells us is there was
 15 absolutely no factual basis in the Lago Record for the
 16 \$9.5 billion Judgment that was issued--no basis whatsoever.

17 Now, if on the other hand, as Mr. Ewing suggested
 18 in his rebuttal yesterday afternoon, the Lago Court had
 19 plenty--had much more data available to it than LBG has
 20 been able to develop in its three years of work in these
 21 fields, if that's true, if that is true, then what we are
 22 left with is again having to measure the Judgment against
 23 the data and the facts in the Lago Record, and that brings
 24 us right back to the analysis that I have been trying to
 25 present this week.

11:41 1 When we evaluate the Lago Judgment, we evaluate it
 2 against the RAP, and we consider that you've only been
 3 shown one RAP location where there is absolutely no
 4 problem. You can analogize that to the way that the
 5 Judgment dealt with the RAP and failed to address the fact
 6 that Petroecuador had not remediated the areas assigned to
 7 it. That is areas not expressly assigned to TexPet.
 8 Secondly, the applicable criteria. We know and
 9 we've said all week, the Judgment did not use Ecuador's own
 10 criteria and it didn't use the criteria in the RAP. It
 11 used a 100 part per million TPH standard--absolutely not
 12 supportable, not the Parties' agreement, not the law of
 13 Ecuador, and that is not what is done in practice by
 14 Ecuador's own oil Operators, Petroecuador.
 15 And then when we go to the data and we apply those
 16 criteria to the data, the data that Mr. Ewing suggested the
 17 Lago Court did have, again I hand you an excerpt from the
 18 Site Packets that we provided. These are three slides that
 19 Mr. Connor provided in his presentation in the Hearing and
 20 which are also in the Site Packets, and these three slides
 21 summarize the data that was in the Lago Record, the
 22 Judicial Inspection data, and shows you the percentages of
 23 those data that met Ecuadorian criteria: Soil, drinking
 24 water, surface water. And you can see for yourself: The
 25 data in the Lago Record showed that the vast majority of

11:42 1 the samples met Ecuadorian criteria and that where there
 2 were exceedances, those were at locations that Petroecuador
 3 had yet to remediate.
 4 And then my next point has to do with remediation
 5 costs. One of the things we haven't heard anything about
 6 this week, there has been no attempt by the Ecuador team to
 7 try and justify the \$9.5 billion Judgment with respect to
 8 the cost of pit remediation. You may remember--I know you
 9 keep this fact close in mind--that the Judgment assumes a
 10 pit size, an average pit size, of 8,400 cubic meters of
 11 soils that would have to be remediated on average. You've
 12 not been shown any pit this week that even got close to
 13 that.
 14 Moreover, the pits that Petroecuador has
 15 remediated, though they didn't show you any of those this
 16 week, but the pits that they have remediated, they've done
 17 it at a cost of \$85,000 per pit versus the \$6.1 million
 18 that the Judgment awards--\$85,000 that Petroecuador has
 19 spent on average per pit versus 6.1 million. If you think
 20 about that Judgment and apply it, the Judgment awarded
 21 \$6.1 million to remediate this pit that TexPet had already
 22 remediated. It awarded \$6.1 million to remediate Pits 2
 23 and 3 that Petroecuador closed but did not remediate. And
 24 it would have awarded another \$6.1 million to remediate
 25 Pit 4 down the road. None of that has any connection or

11:44 1 any link to the facts.
 2 And then finally, the last point is the
 3 Petroecuador role responsibility which the Judgment also
 4 completely ignored.
 5 So, I'm going to close with this observation.
 6 You heard yesterday and a couple of days now from
 7 Mr. Ewing the idea that since we have been out here, the
 8 Chevron team has somehow conceded the facts--conceded the
 9 facts. I respectfully suggest that that's a--well, the
 10 best way I can put it is just to say it's a
 11 misinterpretation, and that's being very charitable.
 12 The facts are--the facts are--that the Consortium
 13 produced oil in this oilfield and at this platform. The
 14 Consortium experienced environmental impacts as part of its
 15 oil-production activities. And then the Consortium in 1995
 16 reached an agreement to divide responsibility for
 17 remediating the Consortium impacts, and that document, as
 18 you know, is the Settlement Agreement and the Remedial
 19 Action Plan.
 20 Fact Number 4: TexPet completed its share of the
 21 work as approved by the Republic of Ecuador and fully
 22 released it.
 23 Fact Number 5: Petroecuador has not completed its
 24 work. Eventually it did some, but at this site is an
 25 example of where it hasn't completed its remediation work.

11:45 1 Those, Members of the Tribunal, are the facts, and
 2 those are the facts that matter when it comes to evaluating
 3 whether what you've seen here can possibly support a
 4 \$9.5 billion Judgment.
 5 And so, with that, I appreciate very much your
 6 attention, your patience, and I'll conclude.
 7 PRESIDENT VEEDER: Thank you very much. Thanks.
 8 We'll take a 10-minute break before we hear the
 9 Respondent's responses.
 10 (Pause.)
 11 REBUTTAL ARGUMENT BY COUNSEL FOR RESPONDENT
 12 MR. EWING: Members of the Tribunal, I will first
 13 turn the floor to Dr. Garvey for our rebuttal, then I have
 14 a short rebuttal, and then Mr. Bloom will be addressing us
 15 to close this out.
 16 DR. GARVEY: Okay. First, some very, very brief
 17 points.
 18 To begin with, this site is one out of
 19 300-some-odd Concession Areas that have well oil platforms
 20 that require remediation. They are spread out over
 21 approximately 80 miles northwest--north to south, 40 to
 22 50 miles east to west. It is a large area. I have worked
 23 on billion-dollar remedies. This would be, if it were to
 24 cost that much, it would be my fifth on this.
 25 It could be very deceptive to just conclude from

12:02 1 your initial evaluation that, yeah, I could do this for
 2 this much money.
 3 As a case in point, the project that I worked on
 4 was estimated at the beginning to be about \$200 million for
 5 the remedy. This is running in excess of one and a half
 6 billion. So, you can't--you need to evaluate what's here
 7 before you can say yes, this is--I know this is enough
 8 effort or enough money to do the job.
 9 So, you have always the dilemma of trying to
 10 figure out how much do I need to lay out, how much do I
 11 need to anticipate when I'm trying to estimate a cost.
 12 Okay.
 13 So, any case, just to make that point, I want to
 14 make two points about Dr. Strauss's work that was
 15 criticized earlier. Where we stood yesterday at
 16 Aguarico-06 was not the location that was used by
 17 Dr. Strauss in her risk assessment. If you remember, we
 18 pointed out that this point furthest downstream was the
 19 only one we thought was actually downstream of Aguarico-06.
 20 That was basically a swale that drained to the south and
 21 there was a little ridge that prevented the swale area from
 22 reaching the stream further--points further upstream.
 23 The point furthest downstream is the one that Dr.
 24 Strauss used in her risk assessment, and we would expect
 25 that area to be impacted. That sample was not

12:04 1 distances, and so it's again, a mistake to just take a
 2 single point and say, all right, got a hot point here, it's
 3 hot; I go down a little bit further downstream and get a
 4 cold point, it's clean again; I go back on the other side
 5 and I get a hot point. Now, that could be explained by
 6 sources coming in at two different locations. It could
 7 also be very well explained by you went from a depositional
 8 area to an erosional area to a depositional area. So, you
 9 really--again, you haven't characterized this system to
 10 make that kind of conclusion that we don't have any further
 11 transport downstream.
 12 I think that's all I'm going to comment on.
 13 Thank you for your time.
 14 PRESIDENT VEEDER: Thank you.
 15 MR. EWING: Members of the Tribunal, I just want
 16 to briefly address what looks to be six points from what
 17 were raised this morning.
 18 First, we stood down below and looked at the
 19 sediment locations, and Dr. McHugh criticized Dr. Strauss's
 20 risk assessment, saying: Look where this is. You'd never
 21 want to take a bath here.
 22 And there are two sort of main fundamental
 23 problems with that.
 24 One is that, as Dr. Strauss explains in her
 25 Report, that's not how that area looked when she was here

12:03 1 extraordinarily elevated, but it was only a single sample,
 2 and we talked about that as well. It's an error to use a
 3 single value as a basis to evaluate something and say I
 4 know it's clean or I know it's not. I can make some
 5 estimates of the level of contamination, but certainly it's
 6 not exhaustive.
 7 And then one other point about the streams and the
 8 like here, there were two points made about surface water,
 9 the surface water values further down the stream that came
 10 out clean, and therefore there was no further transport.
 11 Surface water is very ephemeral. It rains today, you get a
 12 lot of water coming out, everything gets diluted. It
 13 doesn't rain tomorrow, things get concentrated. That's why
 14 we use sediments to tell us how far things are being
 15 transported because they integrate over time. They are
 16 much, much cheaper, if you would, to analyze because they
 17 might represent six months, a year's worth of deposition,
 18 six months or a year's worth of solids transport which is
 19 where most of the oil will be transported, either attached
 20 to the solids or affected by the solids.
 21 So, having a clean water sample downstream doesn't
 22 get you everything, a free bill of health, points beyond
 23 that.
 24 In the same light, we also talked about yesterday,
 25 at Aguarico-06, that we could show variation on short

12:06 1 before, and that single sample and the samples taken on
 2 this stream are meant to characterize what you would expect
 3 to see in the rest of the stream--or in this area. So,
 4 that single sample is not meant to say that only the, you
 5 know, 1 foot square that was sampled is contaminated, but
 6 instead to characterize that area of contamination.
 7 This is Dr. McHugh's first trip to this area, and
 8 this is what it looks like as you see today.
 9 Dr. Strauss has been here at least seven times,
 10 has interviewed the owners of this house. This rainwater
 11 catchment system, for instance, is new. They've added that
 12 more recently. The people who live here used to live down
 13 the street. These families have lived here for two
 14 generations, so this is a long-term group of people who
 15 live here.
 16 The fact that they now may have access to clean
 17 water through a rainwater catchment system or if they have
 18 to maybe buy water--and the same is true for all of these
 19 sites--that's not the issue here. The issue here is
 20 whether the people on their private land are able to use
 21 their own natural water sources. The fact that they've
 22 been forced to abandon the surface water, and we know from
 23 Dr. Strauss's interviews in her Reports that they have been
 24 forced to mostly abandon that surface water, that they were
 25 able to use it before and now they cannot.

12:07 1 The fact that they've abandoned it because it's
 2 contaminated doesn't mean it shouldn't have to be cleaned,
 3 and that they've attempted to try and find an alternative
 4 doesn't mean you shouldn't have to clean what's there.
 5 Another point on the bacterial issues, and you
 6 will see this in LBG's Report, what residents have told us
 7 is they know that they can clean bacterial contamination by
 8 boiling. I think, at least as a former boy scout, you can
 9 boil water for 20 minutes and it kills your bacteria, and
 10 you can drink that water, typically speaking. LBG recounts
 11 in their SI Reports how residents would ask, you know, can
 12 I boil this water to remove the oil contamination? It's
 13 sort of a sad question, because according to LBG, you
 14 can't. So, the bacterial contamination, no one thinks it's
 15 a great thing, but it's easily remedied.
 16 The fourth point, and I now want to sort of shift
 17 away from the health issues momentarily to talk about this
 18 pit. We've got Pit 2 and 3 here, and Claimants correctly
 19 point out that it's not a RAP pit. That's not surprising
 20 that it's not a RAP pit because it was never disclosed. It
 21 was undocumented. TexPet didn't say, oh, yes, we dug four
 22 pits here. We should include these on the list so that we
 23 can appropriately assign liability at all of these
 24 locations.
 25 They did disclose one pit here, and they did clean

12:10 1 you do that around all of these well sites, you've got an
 2 extensive area that may need and likely does need to be
 3 remediated.
 4 The further point of that is, they say that we've
 5 not attempted to justify the soil damages at these
 6 locations, and respectfully we believe that that would be a
 7 question of Track 3, of how much it would actually cost to
 8 remediate this area and to understand what the true cost of
 9 this would be. We believe that the Lago Agrio Court was
 10 presented with voluminous data, hundreds of thousands of
 11 pages of record and evidence, came to--you guys have done
 12 four mini-Judicial Inspections. The Court did 45 plus 11
 13 with their own court-appointed experts.
 14 The Court saw a lot, and it had the Plaintiffs and
 15 Chevron arguing both sides of this, similarly probably to
 16 how this is, although I was never at a Judicial Inspection.
 17 But the Court was presented with voluminous evidence and
 18 was asked to make a determination about how to clean that
 19 up and how much it would cost, and it made its estimation,
 20 its best judicial decision about what that would cost.
 21 And, finally, I want to talk briefly about the PIs
 22 and the JIs.
 23 We have made and talked significantly about how
 24 the PIs and the JIs were used. You've heard today from
 25 Claimants again that the Court was well-aware of the PIs.

12:09 1 that up. But this was not a part of the RAP because it was
 2 never disclosed, and it was hidden. And there is a dispute
 3 about who closed this because we don't know. We don't know
 4 that Petroecuador did it, despite the fact that Chevron
 5 will write that without factual support.
 6 The next quick point, we talked about how this
 7 is--actually, I think Dr. Garvey covered this. This is a
 8 large remediation. We are about to get back in our cars,
 9 and as Dr. Connor says--or Mr. Connor says, you have to
 10 drive through a billion-dollar remediation.
 11 As we take two hours to drive through the various
 12 oilfields that we're about to drive through, consider that
 13 that is the size of what we're talking about.
 14 We have now heard from Claimants that they admit
 15 that these sites contain pockets of contamination. Those
 16 are the ones that we in a sense forced them to admit to
 17 because of the sampling that LBG has done. That's not all
 18 the contamination at these sites most likely. We don't
 19 know what the extent of contamination is in Pit 2. The
 20 Lago Agrio Record has some indication of it, but we don't
 21 know the full extent of it from LBG's perspective.
 22 And now imagine this 344 times because that is the
 23 number of well sites that were drilled by TexPet. So, this
 24 is not localized to one single platform. So, even as
 25 Mr. Connor says, if this goes 100 meters or 50 meters or if

12:12 1 I haven't seen that evidence. We've gone through multiple
 2 rounds of briefing. You saw at the Hearing what happened
 3 at Sacha 6 when Chevron complained that the Lago Plaintiffs
 4 had come out and done some PI samples, that the Lago
 5 Plaintiffs had come out and put smaller versions, but flags
 6 as locations where they wanted to go and sample. Chevron
 7 complained about that, yet was doing much, much more at all
 8 of the sites, even beyond what was done by the Plaintiffs.
 9 So, this idea that the Court was well-aware and
 10 supportive of it is just--we just don't have any evidence
 11 of that. And, as Dr. Garvey has explained, the statistics
 12 show that the orange flags that Chevron took during the JIs
 13 at the surface were clearly not intended to show the extent
 14 of the contamination in this pit, as they took down their
 15 PIs, the red square--or--yeah, their PIs in the red
 16 squares.
 17 And maybe, sort of interestingly, if you actually
 18 look at the sample names for those orange flags, they're
 19 not labeled Pit 3. Chevron knew that this was Pit 3, and
 20 they called this Pit 3 in their internal documents, but
 21 when they submitted those samples to the Court, they're not
 22 Pit 3 samples.
 23 So, with that, I would turn this over to Eric to
 24 wrap us up, unless you have any questions for me.
 25 PRESIDENT VEEDER: No questions.

12:13 1 MR. EWING: Thank you.
 2 MR. BLOOM: Well, I have the pleasure of wrapping
 3 up for the Republic. But first on behalf of the Attorney
 4 General and for the Republic of Ecuador, I want to thank
 5 the Tribunal, I want to thank Jess and David and Martin for
 6 making the journey.
 7 As some of you may know or may not know, the
 8 Attorney General became a grandfather last night, so he is
 9 hopefully back in Quito by now with his granddaughter, this
 10 is his first grandchild, but he hopefully is back with his
 11 granddaughter and his daughter. So, on his behalf, I get
 12 the honor of thanking you very much.
 13 As he said in the opening, this Site Visit was
 14 very critical for our case, and I will explain that in a
 15 little bit. But we also very appreciate the sensitivity to
 16 this issue, to the issue of the environment because, as I'm
 17 sure you have sensed over the last several years, it's a
 18 very important and sensitive issue to the Republic. And
 19 the issue means even more to the people around us, the
 20 people we passed coming here: The kids who were waiting at
 21 the school bus, or people, I don't know how long they walk,
 22 but they're walking very long ways, for the kids who play
 23 around here, for the people who wash their clothes here,
 24 for the livestock. So, we appreciate the sensitivity to
 25 the issue itself.

12:15 1 For some of us, this is an exotic adventure of
 2 sorts, but I try very hard not to forget the fact that we
 3 are around people where it's their very lives. It's not a
 4 one-week adventure.
 5 Now, no one has made, in our view, probably a
 6 longer journey, figuratively speaking, than Chevron, which
 7 now admits, as it has, to the existence of contamination
 8 and the existence of contamination that is not confined to
 9 the pits. And you may remember at the very first site we
 10 kept hearing how it's all confined to the pit. It's not
 11 confined to the pit. The two starkest examples--although
 12 there was admission here, it was called I believe by
 13 Mr. Connor, an exception to the rule--but you'll remember
 14 at Shushufindi-55, the President asked the question and got
 15 the concession that there was contamination in the wetland
 16 stream. It's not in the pit--not in the pit.
 17 I think the most dramatic example may have been
 18 Aguarico-06, where we walked down that huge hill, and it
 19 was all the way at the bottom, and then it made a left-hand
 20 turn that we discovered mainly because the farmers--or the
 21 farmer had cleared off some of the land. And ultimately,
 22 it was about 100 meters away, and that's as best as we
 23 know. We believe it's now downstream.
 24 And they admit the existence of undocumented pits,
 25 which I'll talk about in a moment, and they admit that the

12:17 1 oil at several of these pits, at least three of these
 2 locations, were all TexPet's oil.
 3 Claimants have journeyed a long way, but while
 4 Claimants have acknowledged what they have been forced to
 5 acknowledge, they seek to diminish time and again the scope
 6 of the problem. If my notes are correct, Mr. Connor said
 7 yesterday, you don't see swathes of petroleum. Well, there
 8 are swathes of petroleum, much of it is just beneath the
 9 surface.
 10 We heard the reference today to Kuwait and the
 11 Exxon Valdez, say, this isn't that. Well, what's the
 12 difference? Those are very recent spills where the
 13 remediation began right away. Right now we're talking 30
 14 years after the fact, in the middle of a rainforest. And
 15 what happens? The rainforest grows on top of it. There
 16 are swathes of petroleum, and we have to understand that
 17 every time we're seeing oil bubble up to the surface, is a
 18 reservoir most of those times underneath pushing it up.
 19 It's a volume of oil that's pushing it up.
 20 And recall, we have not been able to delineate the
 21 scope of this, and I will address some of the stuff that
 22 Ms. Renfroe just said a few moments ago about why that is.
 23 But we have not delineated the scope horizontally nor
 24 horizontally (sic). You will recall Dr. Garvey saying in
 25 one instance we went 1.8 meters down, but that wasn't the

12:19 1 bottom of it.
 2 And also recall that we could not even find the
 3 Aguarico-06 contamination until much of that rainforest was
 4 cleared out. Well, that's the problem all over this
 5 region. It's not just visual. Visual is where it begins.
 6 I would submit that there are reservoirs of oil dotted
 7 throughout this entire region; and, in this respect, let me
 8 just explain because this is one of those issues I did not
 9 fully comprehend until I came here for the first time, and
 10 it's one of the reasons why we thought it was so important
 11 for you to come and see for yourselves.
 12 I had difficulty internalizing what it means to
 13 have pits all around, and for me, it was very extraordinary
 14 because they don't look like pits in some instances.
 15 You're around, you get to see it a little bit more. You
 16 see oftentimes it goes down a little bit. But you've got
 17 to visualize what they were before one of two things
 18 happened, before someone--we believe that it was TexPet,
 19 you heard them say that they think that it's
 20 Petroecuador--but when you push the soil on top of it, it
 21 doesn't mean the oil goes away. It means you still have a
 22 pit. It's still oil. Or, in those instances where the
 23 soil is not pushed on top, you have leaf litter, all these
 24 leaves, and they get piled one on top of another, on top of
 25 another, and in some months' time, much less years' time,

12:21 1 it begins to grow, and we are back in a rainforest,
 2 sometimes very dense rainforest.
 3 So, whether we can see them, they surely exist.
 4 So, we know there is contamination. We know it has
 5 migrated. We know that there are exposure pathways. I
 6 won't go to each and every one of these sites, but you
 7 surely see it here, and you certainly see it with respect
 8 to the livestock.
 9 It was interesting at the first site, Mr. Connor
 10 referred to all of the oil being confined to the pit,
 11 limited to the pit. Today, he was saying something a
 12 little bit different, that it's proximate, that all the oil
 13 was proximate or close to the pit. The point is it's
 14 beyond the pit, it's migrating, and you get into the
 15 streams, and we don't know where it ends.
 16 Talking about exposure pathways, for me maybe the
 17 most dramatic moment was when I was standing in those corn
 18 stalks that the visual site--so there I am, and I may be
 19 only five foot five generously speaking but those corn
 20 stalks were certainly above my head and perhaps over your
 21 heads as well. And that's what they're growing, that's
 22 what they're eating. Now, maybe they shouldn't be planting
 23 them there, and there may be other places where they're not
 24 planting, but they ought to be able to.
 25 There are no barriers around any contamination.

12:22 1 Keeping the livestock away or keeping the kids away, nor
 2 could there be because they don't know where all the
 3 contamination is. That's the reality.
 4 So, what do we hear from the Claimants? We heard
 5 yesterday, and I presume this was a misspeak, that when
 6 TexPet came here, they came here as a minority owner, which
 7 is factually incorrect, and let me just remind you very
 8 quickly of the history. In 1964, the Government granted
 9 the Concession to two Parties: Gulf Oil and to TexPet. It
 10 was 50-50. They entered into a Joint Operating Agreement
 11 in 1965, pursuant to which TexPet became the Operator.
 12 There was no State-owned oil company with any interest in
 13 the Consortium in 1964 or '65 or in the 1960s or in the
 14 early 1970s. Petroecuador's predecessor, CEPE, C-E-P-E,
 15 exercised a 25 percent option in 1974. So, for the first
 16 nine years and all the pits that were created in those nine
 17 years, CEPE had zero to do with.
 18 And, most critically, who was the Operator for
 19 almost the entire time? From 1965 until 1990, there was
 20 one Operator and that was TexPet. They left in 1992. This
 21 lawsuit, the Lago Agrio lawsuit, was brought the very next
 22 year. So, once you think about it, every time they say
 23 Petroecuador has been the Operator for the last 25 years,
 24 that's only because the underlying litigation has lasted
 25 going on now 23 years.

12:24 1 So, we offer this environmental case for a couple
 2 of reasons, and I just wanted to address two of them, and
 3 we've addressed them in our submissions: One, we wanted to
 4 and needed to respond to Claimants' argument that the
 5 Judgment was factually absurd. And I would submit, Members
 6 of the Tribunal, not only that the Claimants' argument is
 7 contrary to what you're seeing before your eyes, but that
 8 this evidence proves that the Court actually based its
 9 decision on the facts before it. As Mr. Ewing just said,
 10 the Court went to 45 of these sites, heard from the Experts
 11 but, most importantly, saw and understood what was beneath
 12 these pits, and that they're dotted across the region. The
 13 Court appreciated that. The Court also heard, importantly,
 14 testimony from the residents, something you have not had
 15 the benefit of.
 16 So, for the Lago Agrio Court to be persuaded by 45
 17 of these and by the people most affected ought not be very
 18 surprising, and we submit it very much supports the
 19 reasonableness of the Lago Agrio Court Judgment.
 20 And Number 2, and I would be remiss if I did not
 21 point this out, we have also offered the environmental case
 22 because it relates to the issue of remedy. It relates to
 23 the issue of remedy even assuming State responsibility.
 24 And why is that? That's because, under international law,
 25 the Claimant cannot be put in a better position than the

12:26 1 Claimant would have been in absent the breach of
 2 international law. Simply, Claimants cannot be granted an
 3 absolution, not when there is contamination, contamination
 4 that is affecting those who brought the lawsuit against
 5 them.
 6 Dr. Hinchee said--and we appreciate this--he says
 7 the more challenging task is not finding the contamination
 8 but finding where it stops. And that's the challenge.
 9 Two final points, and then we will wrap up.
 10 Please remember what Dr. Garvey said and Mr. Ewing
 11 said, that we picked sites to test certain hypotheses, for
 12 example, that the contamination is asphaltic, that it does
 13 not migrate and, therefore, is not only not posing danger
 14 now but never will pose any danger in the future.
 15 Now, this was not Remedial Investigation. LBG did
 16 not conduct a Remedial Investigation. What would a
 17 Remedial Investigation constitute? What would it look
 18 like?
 19 In a Remedial Investigation you are going to take
 20 some samples. You are going to throw some darts, as he
 21 said, and you try to find where the contamination is. But
 22 critically you don't necessarily find out then. It goes to
 23 the lab. Then they do all the confirmatory tests. It
 24 might be five or six months later before you get the
 25 confirmation as to which darts are hitting contamination.

12:27 1 Once you find the contamination, the next thing you've got
 2 to do is throw some more darts to figure out how far it
 3 goes and how far it goes.
 4 The RI is a difficult process. It's the reason
 5 why we have been doing this three years, and the point of
 6 our exercises was very specifically to test certain
 7 hypotheses because Claimants came in here making these bold
 8 statements that we suspected might not be true and we now
 9 have confirmed they are not true, but it's not a Remedial
 10 Investigation. Nor, by the way, did we look for sites that
 11 were quote-unquote the best sites for us. What we tried to
 12 do was pick sites that we thought would tell our story that
 13 would educate the Members of the Tribunal. We hope we did
 14 that. We wanted to educate the Tribunal, to enable the
 15 Members of the Tribunal to better understand the
 16 undocumented pits, to better understand the migration of
 17 the contamination, to better understand how contamination
 18 interacts with the people, with the livestock.
 19 Mr. Connor said today, we don't disagree where the
 20 contamination is. We disagree with where it's going. Yes.
 21 We do. We have some educated guesses, but the point is,
 22 it's going somewhere. That we now know for certainty. In
 23 part we know that because you have persistent oil 30 years
 24 after the fact that has not gone away. If you remember in
 25 the very beginning of this case, they said: 30 years, it's

12:29 1 not going to be here. It's all weathered.
 2 That's not true. We tested that hypothesis.
 3 Now, under joint and several liability principles,
 4 Plaintiffs referring to sue Chevron, subject to Chevron's
 5 right to seek contribution against Petroecuador. But if
 6 the Tribunal were for any reason to find that the Parties
 7 must apportion liability, as Mr. Ewing said, that's an
 8 issue for Track 3. At that point, we can determine the
 9 cost of an appropriate RI.
 10 And then the last point, is the Claimants, at one
 11 point they referred to this yesterday as their factual
 12 defense, and that's the RAP defense. And, of course, we
 13 came here to address the facts rather than pursuing
 14 repetitive arguments as to the RAP, which we had briefed
 15 exhaustively in Track 1. And you heard Ms. Renfroe return
 16 to this issue at the end saying this is the framework.
 17 Well, let's address it.
 18 Claimants assert that certain responsibilities
 19 were assigned to TexPet and others were assigned to
 20 Petroecuador. I want to be clear. Certain
 21 responsibilities indeed were assigned to TexPet, and you
 22 can look in the RAP. There is no assumption of liabilities
 23 or responsibilities by Ecuador, certainly not as to the
 24 third parties. This was an agreement between two Parties.
 25 And what TexPet did was get a release from the Republic for

12:31 1 the Republic's claims against TexPet, and the Republic has
 2 not brought suit against TexPet. There is no mention there
 3 of the third parties' right to seek relief. And this
 4 Tribunal has already found that there was no
 5 indemnification provision, no hold harmless. If third
 6 parties are out here who are being harmed, they have the
 7 right to pick their tortfeasor and to bring a lawsuit.
 8 They were not parties to the RAP or the 1995 Settlement
 9 Agreement.
 10 Now, what we all, all of us here--
 11 (Rooster crows.)
 12 MR. BLOOM: And him.
 13 --we as party representatives, as honest experts,
 14 as roosters--one more time?--as judges of fact and judges
 15 of law, what we do matters. We know it matters to
 16 Claimants because they brought this arbitration. This
 17 matters a whole lot to the Republic. It matters, we
 18 believe, to much of this world, given the importance of
 19 this rainforest, and we know that it means the world to the
 20 people whose very lives depend on this rainforest.
 21 And, with that, Members of the Tribunal, I just
 22 want to extend my thanks not only to you and to the
 23 secretaries and to David, but to our colleagues and friends
 24 from Chevron who have made the jaunt and who have
 25 coordinated with us, but I also want to have a very special

12:33 1 thank you to the members of the Attorney General's
 2 team--over there--who have done a phenomenal job
 3 logistically, members of the military, the Security Teams,
 4 everything from the water to getting us back and forth.
 5 We promised this Tribunal a safe and pain-free
 6 and--logistically pain-free trip, and I'm very proud of the
 7 team because I think the members of the team who were
 8 involved delivered.
 9 With that, I thank you.
 10 PRESIDENT VEEDER: Thank you very much.
 11 CLOSING REMARKS BY THE TRIBUNAL
 12 PRESIDENT VEEDER: I'm going to speak very fast.
 13 I'm sorry, David.
 14 I'm going to add our thanks to what we've just
 15 heard from Mr. Bloom, but before I do that, I'm sure I
 16 speak for all of us that we wish the grandfather a very
 17 happy life with his new grandchild. So, please could those
 18 congratulations be communicated to the Attorney General.
 19 MR. BLOOM: I sure will.
 20 PRESIDENT VEEDER: To formal matters, this has
 21 been a very long time in arranging. It's been extremely
 22 problematic in producing the Tribunal's Order and the
 23 Protocol with the assistance of both Parties, of all
 24 Parties. We've gone, I think, through a successful active
 25 visit over the last two-and-a-half days. But if there is

12:34 1 any problem that we can put right now, we would like to
 2 hear it from one side or the other. So, formally, I want
 3 to call upon both Parties as to whether they have any
 4 grievance or complaint about the way the Tribunal has
 5 conducted this Site Visit.
 6 We ask the Claimants first.
 7 MS. RENFROE: Mr. President, we have no
 8 objections. The Claimants have no objections and
 9 appreciate the Tribunal's guidance.
 10 MR. BLOOM: And for Respondent, we, too, have no
 11 objections. We thank you.
 12 PRESIDENT VEEDER: Well, thank you very much.
 13 From the Tribunal's perspective--I think I speak for all
 14 three of us--it's been a very, very interesting
 15 two-and-a-half days. We know how much work has gone into
 16 it by the Parties and their counsel. We see only the tip
 17 of the iceberg, but thank you for all the incredible hard
 18 work that you have done, sometimes in very difficult
 19 conditions.
 20 I think it's time to go, but before I do that, we
 21 would also like to show our thanks, not just to the
 22 Attorney General, to Dr. García, and as you said, also to
 23 his staff, to Daniela Palacios and Felipe Aguilar, who have
 24 been responsible from the beginning of the airport to the
 25 present day for looking after us, and we are very grateful


12:37 1 PRESIDENT VEEDER: Oh, sorry, sorry.
 2 MR. BISHOP: Kind of off the record, I just wanted
 3 to add our thanks on behalf of the Claimants to everyone as
 4 well. Thank you very much for the hospitality and security
 5 and certainly to the Tribunal and all the technical people.
 6 Thank you very much.
 7 (Whereupon, at 12:38 p.m., the Lago Agrio-02 Site
 8 Visit was concluded.)
 9
 10
 11
 12
 13
 14
 15
 16
 17
 18
 19
 20
 21
 22
 23
 24
 25

12:36 1 for the efficiency with which they've done that.
 2 We also want to thank the Ecuadorian military and
 3 to Colonel Luis Mena, who has been so discreetly in charge
 4 of all of us--and we've never felt unsafe, even if you
 5 thought we might be, which we didn't; but also, all members
 6 of WSO who also have been active and everywhere for us, in
 7 particular Johnny Torres.
 8 Now, our drivers, they've done a wonderful job, I
 9 think sometimes in extremely difficult conditions. I think
 10 in a left-handed country like mine you can drive on the
 11 left but I've never seen so many cars in a right-handed
 12 country drive on the wrong side of the road. So, thank you
 13 to all of them.
 14 Thank you to Jon on the video. Thank you to Favio
 15 with the sound. Thank you for David--I've lost him--how
 16 could I lose David? And don't forget, when you patent your
 17 machine, we are entitled to a minor 2 percent license fee.
 18 (Laughter.)
 19 PRESIDENT VEEDER: And thank you for the ambulance
 20 team. Luckily, we don't know them at all.
 21 (Laughter.)
 22 PRESIDENT VEEDER: But we wish you a very safe
 23 return, all of you, to your home countries, including
 24 Ecuador. Thank you.
 25 MR. BISHOP: Mr. President, since I wasn't--

CERTIFICATE OF REPORTER

I, David A. Kasdan, RDR-CRR, Court Reporter, do hereby certify that the foregoing proceedings were stenographically recorded by me and thereafter reduced to typewritten form by computer-assisted transcription under my direction and supervision; and that the foregoing transcript is a true and accurate record of the proceedings.

I further certify that I am neither counsel for, related to, nor employed by any of the parties to this action in this proceeding, nor financially or otherwise interested in the outcome of this litigation.


 DAVID A. KASDAN